

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Washington, D.C.

Tuesday, October 16, 2012

1 PARTICIPANTS:
2 EAC:
3 RICHARD COWART, Chair
4 Regulatory Assistance Project
5 WILLIAM BALL
6 Southern Company
7 LINDA BLAIR
8 RICK BOWEN
9 MERWIN BROWN
10 California Institute for Energy and
11 Environment
12 PAUL CENTOLELLA
13 Public Utilities Commission of Ohio
14 ROBERT CURRY
15 New York State Public Service Commission
16 CLARK GELLINGS
17 DIAN GRUENEICH
18 MICHAEL HEYECK
19 American Electric Power
20 PAUL HUDSON
21 SUSAN KELLY
22 American Public Power Association
23 BARRY LAWSON
24 National Rural Electric Cooperative
25 Association
26 RALPH MASIELLO
27 KEMA
28 DENNIS MCGINN

1 PARTICIPANTS (CONT'D):

2 DAVID MEYER
Designated Federal Officer

3

4 DAVID NEVIUS
North American Electric Reliability
Corporation

5

6 CHRIS PETERS

7

8 WANDA REDER
S&C Electric Company

9

10 PHYLLIS REHA
Minnesota Public Utilities Commission

11

12 BRAD ROBERTS
Electricity Storage Association

13

14 MATT ROSENBAUM

15

16 TOM SLOAN
Kansas House of Representatives

17

18 DAVID TILL

19

20 GORDEN VAN WELIE
Independent System Operator of New England

21

22 REBECCA WAGNER

23

24 MIKE WEEDALL
Bonneville Energy Administration

25

26 USDOE:

27

28 PATRICIA HOFFMAN
Assistant Secretary for Electricity Delivery
And Energy Reliability

1 PARTICIPANTS (CONT'D):

2 LAUREN AZAR
3 Senior Advisor to the Secretary

4 ANJAN BOSE
5 Senior Advisor to the Undersecretary

6 JAY CASPARY

7 CHRIS IRWIN
8 Smart Grid Standards & Interoperability
9 Coordinator

10 ERIC LIGHTNER
11 Smart Grid Program Manager

12 JOE PALADINO
13 Smart Grid Program Manager

14 FERC:

15 CHERYL LaFLEUR
16 Commissioner

17 Other Attendees:

18 BILL BRYAN

19 IMRE GYUK

20 ROBIN PODMORE
21 IncSys

22 EUGENE LITVINOV
 ISO-New England

 PETAR RISTANOVIC
 California ISO

 TOM O'BRIEN
 PJM

1 PARTICIPANTS (CONT'D):

2 BILL PARKS

3 ELLIOT ROSEMAN

4 CHRIS SHELTON

5

6 * * * * *

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 P R O C E E D I N G S

2 (8:06 a.m.)

3 MR. COWART: Good morning, everybody. I
4 think we're set to begin. As always for the
5 benefit of members of the public, let me remind
6 everyone that a transcript of this meeting is
7 being prepared. And if there are any members of
8 the public who will want to address the committee,
9 there is some time set aside for that later this
10 afternoon and you should sign up with the
11 registration desk out in the hallway. We've got a
12 long day. We need to process a very large amount
13 of work done by the subcommittees in the past few
14 months. So I'm looking forward to getting going
15 on that.

16 And so I'm just going to start and get
17 going with the Transmission Subcommittee. You've
18 got recommendations in front of us as well as
19 ideas for a work plan for 2013. Mike Heyeck?

20 MR. HEYECK: Thanks, Rich. Subcommittee
21 has been very busy and you have three
22 recommendations before you. One on the next

1 generation EMS, another on non-wires solutions,
2 and a third on mobile generator sets for grid
3 resiliency. We also did some other work. One is
4 we offered a recommendation in the public process
5 regarding the PMAs. I think it was a very
6 thoughtful entry and I think as Lauren reported
7 yesterday, it was well taken to make sure that
8 we're taking advantage of Section 1222 which is
9 the aim of DOE's effort. So we're pleased with
10 that. We also have an effort on asset life, we
11 call it aging assets; myself not included in that.
12 But the aging life or asset life effort which
13 we're going to talk about, that is a 2013 effort.

14 A couple of 2013 efforts I just wanted
15 to indicate, one is we're going to pick up the
16 ball on interconnection wide planning funding. As
17 you may recall a couple of years ago the DOE had
18 \$80 million that they doled out to create EIPC and
19 Ice Pick and fund efforts in the west end of Texas
20 as well. We're going to probably pick that up and
21 finalize in March and don't be surprised if we're
22 going to ask the DOE for additional funding that

1 effort. And I quote Lauren very often on this.
2 The process is even more important than the result
3 in that regard. So those are the 2013 efforts.
4 We have others that may come up such as power
5 electronics that we left on the side in addition
6 to other elements of technology and grid
7 resiliency.

8 So we do have a plate full for next
9 year, so thankfully we're coming to conclusions on
10 three of our items this year. The first is the
11 next generation EMS. We had a lot of discussion
12 yesterday and again, the analogy for me is imagine
13 the FAA and Air Traffic Control System with a
14 thousand more planes in a couple more years; A
15 thousand times more planes in a couple more years.
16 We have to stay ahead of the effort. And the
17 recommendations are pretty broad and it may be
18 likely that the Transmission Subcommittee will get
19 a little deeper into this next year with the DOE.
20 The first is really what Anjan has been doing and
21 that is to convene technical conferences or
22 webinars to scope out the issue a little more

1 deeply than we have that our four panelists who
2 did an excellent job yesterday.

3 And then the second is to convene math
4 and scientists. So if you look at the roadmap,
5 it's almost a predetermined path, but I will
6 caution you that it will likely change depending
7 on each step as we go. The nirvana in this is
8 that it's quite likely that DOE will not be the
9 funder of last resort on this and nor should it
10 be. I think the panelists offered a portfolio of
11 opportunities talking about creating an
12 architecture that allowed others to play and
13 develop plug and play type applications. So that
14 may be one way to look at this. Another
15 impediment institutionally is the greatest
16 customer of the next generation EMS are the RTOs
17 and ISOs or any large balancing authority outside
18 the RTOs.

19 There are very few customers and as was
20 mentioned yesterday, the vendors are really not
21 incented to create the next generation EMS. But
22 as you heard yesterday, if we don't do this they

1 told us -- I think Ralph said this just before the
2 meeting -- they told us that this is broken and it
3 needs to be fixed and we need to address it in the
4 next five years. So another possibility of
5 funding -- well, let me go one more paragraph on
6 the institutional barrier in funding this.
7 Someone mentioned it yesterday that on a percent
8 of revenue basis, I think the industry spends less
9 than the pet food industry. So one of the areas
10 of concern in the RTO ISO space is that they're
11 being constantly told or governed to keep their
12 administrative fees low, which doesn't give them
13 head room for RND.

14 So another avenue of funding may be that
15 we create some head room either from the bottom up
16 through the members or from the top down through
17 some charge or some form, in order to come up with
18 a funding mechanism for this. These are not
19 outlined in this paper and I'll just caution you,
20 if you look at it, it doesn't discuss these. What
21 I'm presupposing here is if you buy into the first
22 recommendation to convene something, and that's

1 where DOE is best at, it may yield a roadmap that
2 might be different than what's here. Regardless,
3 I'd like to consider this roadmap to be the one to
4 be approved and if there's any variability on
5 this, we will bring that to your attention in the
6 next year.

7 I'm going to stop there on the next
8 generation EMS paper and take some questions,
9 comments. I know Dave Nevius has some edits on
10 the historical perspective. My memory is not as
11 good as his in some of the things that -- since he
12 was born in the 1800s. But you're going to get
13 those to Paula. But I'd stop and welcome any
14 comments. Dave? Dave Nevius?

15 MR. NEVIUS: Yeah. I had one more
16 substantive -- well, I think it's a substantive
17 comment in the recommendations themselves. We
18 talk about some of the specifications and we have
19 a lot of good information there. One
20 specification that needs to be mentioned I think,
21 is the ability to better model special protection
22 systems of medial action schemes, wide area and

1 local area protection systems, safety nets, and
2 the whole family of relay systems, relay schemes
3 that have been involved or even clausal in
4 blackouts since 1965. And I think having a better
5 understanding of them and model them more
6 accurately in the EMS area would be a plus to
7 mention them specifically.

8 The other things that Mike mentioned are
9 more in the history portion of this and I will
10 give Paula comments there. There's a mention of
11 leading to the passage of the Electric Power
12 Reliability Act of 1967. I wasn't involved, but
13 that was never passed. Floyd Goss from LADWP led
14 a group of CEOs to lobby Congress to not pass
15 that, but rather allow the industry to deal with
16 that and that's what lead to the formation of
17 NERC. So I'll give Paula some words there to
18 correct that. The only other thing Mike, in that
19 beginning where it talks about the shortcomings of
20 today's EMS, there's an analogy about driving
21 using extrapolations from your rearview mirror.

22 And of course, the basic tenant of

1 reliable operations is operating within N minus 1
2 criteria. So I'm not sure that analogy takes that
3 tenant of operation into account. It leaves the
4 impression that we're not looking at anything. I
5 think somebody was talking yesterday -- Robin was
6 talking about his wife driving looking only 10
7 feet in front of the car. That's not the way we
8 operate the system today. At least that's not the
9 way we're supposed to operate it. So I'm not sure
10 that analogy really is appropriate or it may lead
11 to a misunderstanding or a misimpression, though
12 I'm not sure what words you want to use or what
13 other analogy, but just a suggestion. Thank you.

14 MR. HEYECK: Just an explanation of the
15 analogy basically is by time you create a state of
16 the system, you already passed that state and
17 that's really what driving with your review mirror
18 was, based on extrapolations of your rearview
19 mirror. I can eliminate it so that we don't have
20 to develop three paragraphs to explain the
21 analogy.

22 Other commentary?

1 MR. COWART: Merwin.

2 MR. BROWN: Merwin Brown, California
3 Institute for Energy and Environment. I wasn't
4 part of this team, but having read your report, I
5 thought it was extremely well done. I thought it
6 captured a good deal of the issues and described
7 them rather well. And I'm not disagreeing
8 necessarily with Dave on any of his comments, but
9 I'm just saying overall I thought it was very good
10 and support what was said in it.

11 MR. HEYECK: Thank you, Merwin. Other
12 commentary?

13 MR. COWART: Barry?

14 MR. LAWSON: Yeah, two quick items. In
15 Recommendation 6, I know we're talking about this
16 collaborative and it includes NERC and other
17 technology leaders. I wasn't sure if that
18 included some industry people and would suggest
19 that we add industry folks to that collaborative.
20 And then I have one other point, but I'll let you
21 address that first.

22 MR. HEYECK: Which recommendation,

1 Barry, again?

2 MR. LAWSON: Number 6.

3 MR. HEYECK: Number 6.

4 MR. LAWSON: And I know it lists NERC
5 and other technology leaders. My suggestion was
6 to add some industry folks to that collaborative.

7 MR. HEYECK: And technology and industry
8 leaders.

9 MR. LAWSON: Sounds good. And I would
10 echo Dave Nevius' comments on the example about
11 the driving the car down the road. I didn't think
12 that was really needed to make the point. I think
13 the point has been very well made out and I would
14 recommend taking that out. I didn't think it was
15 necessary.

16 MR. HEYECK: It is removed. Thank you.

17 MR. COWART: Paul Hudson?

18 MR. HUDSON: Mike, it's implied
19 throughout the paper here, but it seems to me that
20 there is an element here of sort of, the human and
21 tool interaction piece that we may need to be a
22 bit more upfront in addressing. I don't see

1 operator mentioned anywhere in your recommendation
2 piece. And you know, in sitting in the ERCOT
3 chairs for example, being overwhelmed with
4 information and systems is something that is very
5 real in the face of all of this new data and all
6 of these new tool sets and I'm wondering if
7 there's a place to set aside a recommendation
8 around that sort of human and tool interaction?

9 MR. HEYECK: That's a good comment and
10 in the '70s I was on a committee called the
11 Man-Machine Interface. We now call it the Human
12 Factors thing, but point well taken.

13 MR. COWART: Ralph Masiello?

14 MR. MASIELLO: Yeah, you know, Mike, to
15 respond to Paul's comment, in the meeting Anjan
16 convened at DOE there was a unanimous consent
17 around that point that the visualization
18 technologies and the way information is presented
19 needs attention too. And people, I think, missed
20 it in passing yesterday when Eugene pointed out if
21 the control centers could just share screens, a
22 heck of a lot could be gained. You know, if the

1 operators at PJM could see what the operators in
2 New York and the Midwest ISO and TVA are seen on
3 their screens and that's on a selective basis,
4 that raises a host of process issues. But it was
5 a pretty good idea by Eugene; cheap, easy,
6 effective.

7 MR. HEYECK: Any others?

8 MR. COWART: So how would you like to
9 proceed? Are you looking for --

10 MR. HEYECK: I recommend approval of the
11 document including the changes that were noted.
12 And we have historical changes that Dave Nevius
13 will offer and I'm eliminating the rearview mirror
14 comment, I'm including the human interaction, the
15 operator element in one of the recommendations or
16 a separate recommendation, and whether we include
17 sharing screens among the adjacent regions. So
18 those are the comments that I've -- and to include
19 industry leaders in addition to technology
20 leaders.

21 MR. COWART: So here's how I think we
22 probably have to proceed and I can ask David Meyer

1 about that. I believe this document is close
2 enough to final that we could approve it at this
3 meeting subject to understanding that those
4 changes will be made, followed by a circulation of
5 the document to members of the committee, and an
6 opportunity for any member to basically ask for a
7 reconsideration. Does that make sense, David?

8 MR. MEYER: This is a judgment call that
9 the committee should make right now. It's whether
10 you feel you're close enough to not need that
11 final step. To just say, we're going to make the
12 changes that have been identified and the document
13 is going to be final and it'll be submitted. I
14 think we're close enough at this point for that to
15 be considered as an option. The other option is
16 as Rich has explained, that we make the thing
17 final, put it out one time, say any objections,
18 last chance, otherwise within four days or
19 something it's final. So you can go either way.

20 MR. COWART: All right. Barry?
21 Comment?

22 MR. LAWSON: I mean, I don't see any

1 reason why we have to go back out with it a second
2 time. I mean, with the changes that Dave is going
3 to make are historical background changes,
4 everything else is clear. I mean, I would be
5 comfortable in just having a final vote here. I
6 hope everyone else would be.

7 MR. COWART: All right.

8 MR. ROBERTS: Won't that come out in the
9 vote? I mean, if anybody abstains or if you make
10 a motion that it be accepted as is and nobody
11 abstains, it should be fine.

12 MR. COWART: It should be fine if -- I
13 just want to be clear that we've identified
14 precise changes that are going to get made to the
15 document and we can approve it knowing that those
16 changes will be made. We can approve it today.
17 That's fine by me.

18 All right. Is there such a motion?

19 MS. REDER: So moved.

20 SPEAKER: Second.

21 MR. COWART: All right. Thank you. All
22 in favor, say aye.

1 the demand side guy and certainly struggled
2 mightily within Bonneville Power to change some of
3 the planning practices there, is that I really
4 want to make sure that people understand that we
5 don't overpromise on the non-wire stuff; that
6 there are most opportunities, most instances
7 where, you know, non-wires isn't going to work.
8 You know, and I can go into a lot of detail there
9 but there are those cases that come along where
10 non- wires makes a whole lot of sense. And the
11 benefits that I'll talk about in a minute are
12 truly significant.

13 One thing, again, that I learned over
14 our learning experience in BPA is that a number of
15 people think of non- wires as strictly demand side
16 options, you know, the energy efficiency demand
17 response, et cetera. Really there's a whole
18 variety of tools in the box that can benefit.

19 Just had this fabulous experience just
20 before I left BPA where there's a need to upgrade
21 the transmission into the Portland area because we
22 all have to have air-conditioning now for the 4 or

1 5 days a year that the temperature goes over 90
2 degrees and very, very contentious public process
3 associated with that. When we studied the
4 non-wires, what we discovered was if you shut off
5 Centralia, which is a generating plant north of
6 Portland, and you fired up some generation south
7 of Portland, no need to build that line for 20
8 years. So again, I just throw that out as an
9 example of it's not just demand strategies that
10 people immediately go to with non-wires.

11 One of the benefits associated with
12 non-wires, obviously unnecessary construction, all
13 the environmental benefits that are associated
14 with that, certainly a BPA. We struggle all the
15 time with our availability of capital dollars and
16 where they were going to go. If you can avoid
17 building a line, obviously there's minimizing the
18 risk associated with stranded investment. There's
19 rate increases associated with a transmission that
20 you can avoid.

21 So you know a question that one might
22 immediately say is, if this makes so much sense,

1 why hasn't there been more analysis of non-wires
2 to date? You know, why do we immediately just
3 think we have to put that steel and wire in the
4 air? I'm going to go back to what I've mentioned
5 already, which is I think people don't fully
6 understand the full variety of tools that are
7 available out there that is more than just the
8 typical demand side tools.

9 Secondly, and to me this was the number
10 one learning experience that we had at Bonneville
11 Power, and that is if you don't do this right at
12 the front-end of a planning process, it's too
13 late. You know, typically the way that Bonneville
14 did it and I think some other people might be
15 looking at it, it's in the checklist that the box
16 ultimately has to be looked at, but if you bring
17 it to the table too late given the magnitude
18 primarily or especially given the fact that you're
19 looking at transmission deferrals, you just don't
20 have the time to put those alternate strategies in
21 place. And then certainly there needs to be more
22 detail as far as gathering the information to make

1 sure that, again, you're looking at all of the
2 non-wires alternatives, and I've already mentioned
3 it's more than demand response. So the
4 recommendations in the paper are that certainly
5 DOE, again, has the bully pulpit to educate.

6 You know, develop outreach strategies to
7 bring people along on understanding exactly what
8 non-wires is and the full magnitude of what can be
9 applied there to develop planning guides, et
10 cetera, for the various state agencies, utilities,
11 et cetera, that should look at this. That
12 includes obviously case studies to really look at
13 the best practices and make sure that those are
14 shared nationally and then to really keep our eyes
15 looking forward. One of the things that certainly
16 struck me yesterday is that we do have a changing
17 marketplace, much more of a competitive
18 marketplace that's coming. The world's really
19 going to evolve for utilities to make sure that as
20 those changes become apparent that, again, the
21 non-wires and the transmission alternatives are
22 factored into that.

1 And then there is one last significant
2 barrier for me and that is financially how do you
3 deal with the non-wires? If you go back and you
4 look at the BPA website and you look at all of the
5 issue papers that we put together on this topic,
6 you'll see that we resolved every issue but the
7 latter one. One of the barriers that, again,
8 continues to be out there is if you are looking at
9 typically a transmission project, then you're
10 going to socialize if you will, that cost across
11 say the Northwest in the region. But if all of a
12 sudden you're now thinking of a demand side
13 project, a non-wires solution, that may hit
14 locally and figuring out how to deal with leveling
15 that financial playing field to me continues to be
16 the number one outstanding issue.

17 So those are the recommendations in the
18 paper. Mr. Cowart? Questions? Comments?

19 MR. COWART: Comments. Mr. Curry?

20 MR. CURRY: When the closing of Indian
21 Point, a large nuclear generator north of
22 Manhattan, came up for yet another time in the

1 political spectrum, I asked one of the local
2 utilities if there was a non-wires solution to
3 this. I had to ask three or four times but
4 ultimately found that perhaps indeed there was a
5 non-wires solution to this problem and the cost
6 was a fraction of what had been talked about
7 widely as a likely cost to, gee, the New York City
8 (inaudible). We already are the beneficiary of a
9 lot of help that we're giving to the utility
10 industry and the generating industry in New York
11 and, with apologies to Commissioner LaFleur, maybe
12 giving them even more help.

13 But the point was that the process is so
14 broken in so many aspects and has been for so long
15 that when there's a prospect for a north-south
16 line in New York State, for instance, taking
17 Canadian hydro down to New York City or even, with
18 apologies to Commissioner Norris, Iowa wind to New
19 York City, everyone thinks this is -- at least we
20 can maybe pull this off because we have the cover
21 of a "concern or crisis" and we can pull it off.

22 I think that one of the virtues of what Mike has

1 done is taken the perspective of essentially
2 enough for profit and looked at the realities that
3 weren't tinged with how can I get something off
4 this Christmas tree? I've got some ornaments I've
5 been meaning to hang on there for a while and
6 here's the chance to do it.

7 I'm not suggesting that there's going to
8 be a non-wires -- that there's going to be, A,
9 any solution to Indian Point; B, that it's going
10 to close. Although I can talk about it now, I
11 couldn't before. But at the end of the day that's
12 one of the responses that the industry has to a
13 situation that is always under siege from one
14 direction or another.

15 And I think Mike's approach, the
16 suggestion that DOE take the bully pulpit role,
17 try to get a playing field as level as possible --
18 because, again, with apologies to ISOs around, the
19 transparency issue is not very great in the
20 Northeast at least. Maybe in the Southwest power
21 pool, but not in the Northeast. And this is a
22 very, I think, strong recommendation, good policy,

1 and the right thing for us to be behind.

2 MR. COWART: Thank you. Tom and then
3 Barry.

4 MR. SLOAN: Tom Sloan. On
5 Recommendation 1 I would encourage, at the risk of
6 sounder parochial, that two legislative
7 professional organizations -- National Conference
8 of the State Legislatures, or NCSL, and Council
9 State Governments, CSG -- be included. And I do
10 that because legislatures are the body that set
11 the priorities for commissions and for utilities.
12 In some ways we define what can be recovered
13 through rates and can either encourage or
14 discourage a regional planning solutions.

15 MR. COWART: Barry?

16 MR. LAWSON: Yeah. I guess I'll start
17 my broken record pattern for the day. Under the
18 -- also the first recommendation, I realize it's
19 not an exclusive list. It says "including," so, I
20 mean, obviously DOE could invite whomever they
21 want and I expect they would. But I would like to
22 see industry representatives somewhere in that

1 first bullet recommendation, similar to what we
2 talked about for the next generation EMS
3 recommendation. Thank you.

4 MR. COWART: I assume no objection. Is
5 your card up from before or are you up again?

6 MR. BROWN: No, I'm up again.

7 MR. COWART: You're up. Merwin?

8 MR. BROWN: I just keep popping up,
9 don't I? Yesterday I asked the panel of RTOs,
10 ISOs, a question about how they saw the new EMS as
11 whether or not it was just enough to keep things
12 status quo and keep the lights on or was it a
13 potential tool to expand capabilities,
14 particularly to increase the capacity of the
15 transmission system due to operating practices
16 that right now are extremely prudent and we have
17 to do and it leaves a lot of capacity on the
18 table. And I think one of the top examples of
19 that are the stability constraints that are at
20 least put into the West. I don't know enough
21 about the East to know what they have, but in the
22 West it puts thousands of megawatts of capacity

1 out of reach to be used.

2 And I think there are new technologies
3 coming along that, for example, can take the teeth
4 out of low-frequency oscillations and allow some
5 of those margins to be relaxed and we can recover
6 some of this capacity. And in this report and
7 Mike also alluded to it, the significance of
8 looking at that aspect which is getting more out
9 of the existing assets, that this paper, it
10 mentions it right up front I notice, but then it
11 doesn't seem to follow through with very much
12 description of how one would go about increasing
13 the capacity of the existing infrastructure. And
14 there aren't any really strong recommendations in
15 this area and I think it's an extremely rich area
16 of research and development.

17 I have to admit I wasn't giddy with the
18 answer I got out of the panel yesterday, but,
19 again, being in their position I'd probably take a
20 conservative approach. But also if I look back 10
21 years ago of what we were using to operate the
22 grid, it's very different today and probably those

1 people too, would have objected to some of the
2 things that are going on now. I know for example
3 already, SynchroPhasor data is being used in the
4 operation of the grid and not near what it can,
5 but 10 years ago that wasn't even considered a
6 possibility. As a matter of fact, a lot of people
7 thought it was something that was totally silly
8 and today it's a new attitude.

9 And so looking into the future, I think
10 we ought to not be too narrow-minded and have a
11 broader look to see what can be developed. So my
12 suggestion is that this paper put a little more
13 emphasis on that area to balance it with demand
14 response and some of those other kinds of non-wire
15 solutions that are more popular today.

16 MR. HEYECK: Rich, I just wanted to --
17 this is Mike Heyeck. Merwin, I agree with you
18 wholeheartedly and I think Mike Weedall would
19 probably know that just the advent of PMU's have
20 determined or uncovered some oscillatory behavior
21 that can be addressed very simply in order to
22 improve the capacity of the grid. So there's not

1 any deliberate attempt to exclude that, but the
2 next generation EMS will be very helpful in
3 uncovering issues that could be corrected thereby
4 improving the capacity. So point well taken.

5 MR. COWART: Let's just continue to take
6 comments. I'm not quite sure the order of
7 everybody, but I think Gordon's probably next.

8 MR. GORDON: So I was just struck --
9 Gordon van Welie, ISO New England. Struck by the
10 absence of the mention of the FERC in this set of
11 recommendations given that they end up regulating
12 the people or the planning processes. So I guess
13 from my perspective, it would be ideal if the DOE
14 is going to be asked to engage on this topic to
15 coordinate it's efforts with the FERC. I think if
16 it doesn't do that we risk creating confusion in
17 the various stakeholder processes around this
18 discussion.

19 MR. COWART: Paul?

20 MR. HUDSON: My experience is that the
21 different sectors that you've mentioned here very
22 much operate in silos and the transmission

1 engineers don't necessarily speak energy
2 efficiency and the energy efficiency folks don't
3 necessarily speak DR and if you put them in a room
4 together they often look at each other in alien
5 fashion. And I'm wondering if we can acknowledge
6 in the paper that we need to jam some different
7 constituencies together in such a way so that the
8 transmission engineers actually believe in the
9 veracity of demand responses and adequate
10 solutions; same thing for energy efficiency.

11 MR. WEEDALL: Excuse me, I have to
12 editorialize. Bingo.

13 MR. COWART: All right. Coming back
14 around, Tom and then Billy. Oh, it's Dian.
15 Sorry, I read the wrong card.

16 MS. GRUENEICH: Having worked on this
17 with Mike and Mike, I really appreciate what
18 appears to be support in this area and one of the
19 areas for the recommendations is I think what we
20 call, best practices. And when we were reviewing
21 this, the last document put out was back in 2009,
22 the DOE had helped fund. And that's one reason

1 why we've called this out that when we reviewed
2 that document it was basically outdated and didn't
3 give that much information. And so I just wanted
4 to emphasize actually getting a document out
5 that's a little bit more updated, that's a little
6 bit more robust would be helpful.

7 When I was a commissioner, as Rebecca
8 knows since she's taking it over, we formed within
9 the DOE-funded transmission expansion planning
10 process and demand side management group and we
11 were able to get the technical help from the LBNL,
12 and it was utterly eye-opening what we discovered
13 which was that each of the balancing areas submit
14 to WECC and I think perhaps to NERC as well.
15 Embedded within their forecast is some assumption
16 about energy efficiency and demand response and
17 that for the most part it was what we call
18 committed, which is literally all that was funded.

19 But we found out that there was very
20 significant discrepancies in what assumptions were
21 made about adopted federal appliance standard and
22 adopted standards and even greater discrepancy

1 about what would be the saving going forward even
2 if that state had a mandated energy efficiency
3 goal looking forward. And that's where we were
4 able to bridge the gap of having the utility
5 transmission planners who's put together this
6 data, have it reviewed by the state officials, and
7 get in agreement. And as we point out in this
8 paper, it actually dropped the forecast 4 percent
9 in the annual energy and 5 percent in
10 non-coincident peak demand for the entire WECC. I
11 mean, a huge difference and this one aspect that
12 even if it's not avoiding a line per se, it's so
13 important when you're thinking about transmission
14 expansion planning to make sure that you've got
15 good solid tools and quite frankly, that they use
16 somewhat consistently across the regions. Thanks.

17 MR. COWART: Are you making a
18 recommendation about a change to the paper or is
19 the paper fine? Okay, thank you. Billy?

20 MR. BALL: I actually have several
21 things. One is to tell Paul how much I appreciate
22 him advocating a vertically integrated utility

1 model because I believe that's what this is.

2 Because --

3 SPEAKER: (off mic).

4 MR. BALL: But that's exactly what we
5 do. We get everybody in the room together and
6 talk about all the solutions. Mike, you may not
7 be familiar with this example. Several years ago,
8 probably more than I think, time seems to fly,
9 there was a great example of this in Georgia,
10 where through the integrated resource planning
11 process there'd been determined a need for
12 additional generating resources in the state. At
13 the same time, there was identified a very
14 significant transmission infrastructure need to
15 support the city of Atlanta in the long term. At
16 the time it was growing very, very quickly.

17 And through those state processes and
18 working with Georgia Power, it was determined that
19 the next request for proposals to meet the
20 generation need should specifically call out the
21 value of deferring transmission investment by
22 specific placement of generators. And actually,

1 through that RFP process a number of the needed
2 transmission improvements which for being the
3 transmission guy, I knew would be difficult to
4 actually make happen because of their location.
5 We're actually permanently deferred. I guess that
6 means that we're never going to do them as long as
7 the plan is there because of the placement of
8 generation. And I thought that was a great
9 example of a state-integrated resource planning
10 and RFP process bringing all of these different
11 issues together.

12 My final comment really to address
13 Merwin's topic, I don't disagree with what you're
14 saying at all. I kind of approach it from a
15 different perspective being an operator and that
16 is I do have high hopes for technology
17 advancements that allow me as an operator, or
18 someone who is responsible for operations, to
19 understand where my current state puts me with
20 respect to what I call "the edge." That means in
21 some cases new technology, new knowledge, may mean
22 that I need to be more conservative than I have

1 historically been because maybe I didn't
2 understand how close to the edge I was.

3 Yeah. In other cases, new knowledge,
4 new technology may allow me to move -- I may have
5 been farther away from the edge than I ever needed
6 to be, but I just didn't know. So that may allow
7 me to free up, in your example, some capability
8 and yet be very prudent in the operating state I
9 maintain. So I don't see it as one or the other.
10 Anything that gives us greater clarity to where we
11 are in the operating realm, really allows us to
12 optimize, that may be the better way to say it,
13 optimize how we use all our assets.

14 So that's kind of the way I view your
15 question, but I totally agree that these
16 technological advances will be helpful. But it
17 may not always yield greater access to or greater
18 usage of transmission assets. We may actually
19 find we were closer to the edge than we thought.
20 But I don't have any changes.

21 MR. POPOWSKY: Thanks, Rich. This is
22 Sonny Popowsky. Just real quickly, getting back

1 to Recommendation Number 1, Mike. Originally this
2 was a fairly narrow group that you were reaching
3 out to in line with Tom and Barry's comments, I
4 would certainly urge inclusion of our consumer
5 organizations like NASUCA. I think we are the --
6 hopefully, we'll be the primary beneficiary of
7 these kind of recommendations, the consumer. So
8 we'll just include those in paragraph 1. Thanks.

9 MR. COWART: Paul?

10 MR. CENTOLELLA: Paul Centolella. I
11 wanted to briefly respond to Dian's comment and
12 put it in the context of something that Billy and
13 Paul said. I think there's a subtle but important
14 difference in the way some of this paper's worded
15 that I think is important for the planning
16 process, and that is that these non-wires
17 alternatives ought to be looked at on an
18 integrated basis, which means more than simply go
19 to the states and update the assumptions about
20 what demand response and other non-wires
21 alternatives will be and build those assumptions
22 into the planning process. But rather instead,

1 look at that planning process on an integrated
2 basis and ask, what would make sense in terms of
3 the economics if one does or doesn't do a
4 particular transmission line? And that produces a
5 potentially different result than simply having an
6 updated set of assumptions about non-wires
7 alternatives that would be there in any event.

8 MR. COWART: In a minute I'm going to
9 ask Mike how he wants to deal with all of these
10 good comments that probably need some thoughtful
11 processing. I'm going to make one myself, Mike,
12 which is that I find there's really a lot of good
13 material in this paper and I would like to see the
14 committee be able to take steps to get it out. I
15 was struck at the appendix, that there's just
16 these two excerpts from two different state
17 commissions in one process that seem to me
18 inappropriate for a paper that's covering the
19 whole country. So I think I would recommend
20 either creating an appendix that has 10 excerpts
21 from a lot of different decisions or just removing
22 it.

1 Is there a problem with that? It's
2 okay? Okay. Comments back from you about how you
3 would like to proceed? I want to be really
4 careful about making sure that this committee is
5 fully supportive of any paper that we are
6 releasing, recommendations to the secretary. And
7 I want to make sure that folks are comfortable
8 with how we proceed from here. There are two
9 paths that leads to here. Mike?

10 MR. WEEDALL: Well, I'll also look for
11 some input from Mr. Heyeck over there as far as
12 how to proceed. I at least personally feel a
13 little reluctant to take the tactic that we just
14 adopted which is to make a few changes and just go
15 ahead with the paper. I do believe that we have
16 enough comments here that we should go back and
17 revise the paper. And if David feels comfortable,
18 then just approve the paper through e-mail or a
19 conference call or whatever.

20 MR. COWART: Mike?

21 MR. HEYECK: Exactly. I would agree
22 with that approach if it's acceptable to the

1 committee. I think this initiative is so
2 important to get out there. I would hesitate to
3 wait until March, so if we could do it
4 electronically, that would be helpful.

5 MR. WEEDALL: All right. And I was just
6 dying to revise this paper still again.

7 MR. COWART: All right. We have a
8 fairly concise list of recommendations to the
9 authors. I personally think it can be dealt with
10 electronically without having to wait until
11 another full in-person meeting of the committee.
12 But I agree with the observation that it would be
13 good to give committee members the opportunity
14 electronically to see the changes and to approve
15 them or ask for an opportunity for another full
16 discussion. And what you can expect is a paper to
17 be circulated with changes clearly identified so
18 that you can easily see them and an opportunity to
19 ask for another discussion in front of the full
20 committee or one way or another, electronically or
21 otherwise, or simply silence will be interpreted
22 as assent and the paper will be approved and

1 submitted to the secretary.

2 MR. MEYER: On process here, I talked
3 with our general counsel people about this and the
4 wicket we have to go through here is to follow
5 some kind of process that maintains transparency,
6 openness to the public about what we're doing.
7 And so what this means is once you have a draft
8 that you think is truly ready for approval, you
9 need to post that on the EAC website, we need to
10 put out a federal register notice that says, this
11 is what the committee intends to do as an
12 alternative to delaying action until the March
13 meeting. And so, in effect, you tell the public,
14 if you have comments on the paper that you want to
15 give us or comments on this proposed process,
16 please give us your comments.

17 You would not be locked into accepting
18 those comments. You might want to deal with them,
19 accept some of them, but it's a judgment call on
20 your part. But it has to be done through this
21 process. So the one point I would say is if there
22 are, say, two or three reports to be dealt with in

1 this way between now and March, if possible you
2 might batch them out so that we're only talking
3 about one Federal Register notice and one process
4 rather than three processes.

5 MR. COWART: Okay, that's how we'll
6 proceed. Rick?

7 MR. BOWEN: Yeah. My only comment was a
8 kind of a process one. I get like 250 e-mails a
9 day. If in the subject line when you guys send
10 those out for approval like that or for some type
11 of formal process like we're talking about here,
12 if somebody could put in that subject line, Urgent
13 for Approval or something like that, so it gets
14 out attention and we don't just kind of blow by
15 it. Because I know I'm on several committees here
16 and I get a lot of drafts coming through of
17 documents that we're moving around and I may not
18 get to those right -- I'll wait until the weekend
19 to read them on the weekend or something, and I
20 don't want to miss something if you guys are going
21 to do it that way or be subject to approval by
22 lack of response. So yeah, if we could just do

1 that, that would be helpful to me.

2 MR. COWART: All right. Tom, do you
3 have a comment?

4 MR. SLOAN: Tom Sloan and it's a
5 question for David on the process. What kind of
6 timeline would the federal notification and public
7 comment period and all entail if this were handled
8 by the two Mikes within 10 days, by the end of the
9 month? When could we finalize and send the
10 secretary our report?

11 MR. MEYER: Well, let me walk through
12 the steps here. Internally it takes DOE the
13 better part of a week to get a Federal Register
14 notice ready to go. Our office would have to
15 draft it, we send it to the lawyers, they approve
16 it, then one of their people takes it to the
17 outfit that publishes the Federal Register. It
18 would appear about a week later, so you'd say
19 that's a week and a half. Then it needs to sit
20 out there in front of the public for, I don't
21 know, I'll have to talk to GC about this and see
22 what they think, but I would say at least two

1 weeks to avoid seeming to be jumping the gun. But
2 presume then that this process would take roughly
3 a month total before you'd be -- yeah, and Pat
4 says that's optimistic. But it certainly beats
5 waiting until March to get some products out, I
6 think.

7 MR. SLOAN: And I assume that we'd have
8 to then spend a couple of weeks to make sure that
9 we have dutifully considered whatever comments
10 might occur and that we would circulate a final
11 final draft to the committee for approval. So
12 we're looking at six weeks with the holiday
13 period. So seven or eight weeks probably.

14 MR. MEYER: Well, I think it's a good
15 idea to try this process and learn from it and
16 find ways to streamline it as we go. The first
17 time out we'll probably make some mistakes but I
18 think we can probably learn from the process.

19 MR. SLOAN: Yes, Mr. Chairman, I'm
20 wondering whether we really are that far away from
21 a consensus on what needs to be revised in this
22 and whether we actually need to -- I didn't hear

1 anybody objecting to the suggestions made around
2 the table. So I'm just not sure that we need to
3 go through that longer process.

4 MR. COWART: All right. We've got a
5 couple more comments here and then I think we're
6 going to need to move onto the next topic. And we
7 may discover that there are other agenda items
8 later in the day in which we're going to have the
9 same conversation again or the same options in
10 front of us. And so it might affect how we
11 proceed. Billy?

12 MR. BALL: Well, you may have just made
13 my comments irrelevant with saying that this will
14 be readdressed. As I listened to the process and
15 thought about the time of the year, it just made
16 me kind of wonder, would we just be better served
17 to wait until March to be honest? Maybe there is
18 value in trying something new, but we may find
19 potholes there through our process that will make
20 it just easier to wait.

21 MR. HEYECK: Just procedurally, I don't
22 think Mike Weedall has 12 people to distill 1,500

1 comments. So we've got to be very careful that if
2 we do buy into the process, we actually do buy
3 into the process.

4 MS. HOFFMAN: I don't know, he has a lot
5 more time on his hands.

6 MR. COWART: All right. Ralph?

7 MR. WEEDALL: Yeah, I'm really going to
8 comment on that one.

9 MR. MASIELLO: Forgive me if I've missed
10 something, but in prior years we didn't have a
11 process to get the draft work in front of the
12 public and factor public comments into it. And
13 what I'm hearing today is something that says, if
14 we approve this document today, it's done. If we
15 don't then the document's open for public comment
16 as opposed to the public is attending a meeting
17 where they can hear the debate and discussions and
18 offer comments. And there's some kind of
19 distinction in here that I don't -- I'm not sure I
20 get it, but has something changed since 2009 and
21 '10 and '11?

22 MR. MEYER: No, no, no. The public has

1 the opportunity to comment at the end of the day
2 today and there's no intent to make this
3 electronic alternative any different. Now I have
4 no idea what kind of response we would get from
5 that Federal Register notice. I just don't know.
6 Because we do put Federal Register notices out
7 about the committee and about this meeting, so.

8 MR. MASIELLO: Yeah, but we don't share
9 working papers with them, right?

10 MR. MEYER: Well, the drafts are --
11 they're public information.

12 MR. MASIELLO: On our website?

13 MR. MEYER: I don't know --

14 MR. MASIELLO: That's what I'm trying to
15 ask about, David, because we've never had --

16 MR. MEYER: Oh, I see.

17 MR. MASIELLO: -- a public comment
18 saying this document, this page, you're wrong.

19 MR. MEYER: Yeah, you're right. You're
20 right. That's true.

21 MR. COWART: Well, it sounds like
22 further conversation is in order with OGC because

1 my thinking had been the same as Ralph's, that is
2 that this meeting is publicly noticed and the
3 public has the opportunity to be here, listen to
4 the conversation, and to address us. And,
5 therefore, the continued wordsmithing on the
6 document itself could be done by the committee
7 right here, right now. And so then you wonder why
8 we have to launch a detailed public comment period
9 on the document itself as opposed to having
10 actually accomplished that by publically noticing
11 this hearing and this meeting. So maybe we just
12 need to scratch our heads on that. Barry?

13 MR. LAWSON: I would just say, I think,
14 Tom, you stated it pretty well. I don't know that
15 we're that far off and I don't really see a reason
16 to have to put this off a few more minutes and I
17 think we could be where we need to be unless I'm
18 missing something. Otherwise, I would echo the
19 preference for waiting until March. I don't think
20 the Federal Register process is one where we're
21 going to get a lot of efficiency built into it. I
22 don't think we're going to reform that with our

1 little exercise and I would prefer to either take
2 care of what we need to take care of here today or
3 go to March. With the holidays and everything, as
4 Billy said, I just don't see that getting a lot of
5 attention over that timeframe.

6 MR. COWART: So let me make a suggestion
7 that we confer over lunchtime and come back to the
8 committee this afternoon with a very concise list
9 of changes that can be made to this document to
10 move it along in a way that's very consistent both
11 with public notice opportunities and with the will
12 of the committee. Okay.

13 All right. Thank you. And thanks for
14 the good discussion.

15 Next on your list, Mike?

16 MR. HEYECK: Since I won't be here after
17 lunch, Mike Weedall, you have the pen and the
18 gavel for our transmission subcommittee on this
19 subject.

20 MR. WEEDALL: Dangerous, Mike,
21 dangerous.

22 MR. HEYECK: The next item is mobile

1 generators and I'll just turn it over to Billy
2 Ball.

3 MR. BALL: A little different. This was
4 this very brief -- well, I've got the wrong paper.
5 This very brief three-page document is really in
6 response to a specific question and that's dealt
7 with in the first part of the paper. Basically
8 the question was, what's the committee's opinion
9 on the value of the department establishing a
10 portable generation reserve? So is there any
11 value to the resiliency of the power system for
12 the Department of Energy to -- or I guess even
13 another governmental agency, but in particular
14 DOE, to establish a I hate to use the word
15 "stockpile," but a set of portable generators that
16 could be then dispersed or potentially preplaced
17 and if that would be helpful during outage periods
18 or otherwise provide additional resiliency to the
19 system?

20 David Till, who's here, I didn't see you
21 yesterday David, but you're here now, thank you.
22 David did a great job -- actually did most of the

1 drafting here and I appreciate his work and
2 everybody else. You'll see basically this very
3 brief letter comes quickly to the conclusion that
4 we don't believe this is an action that the
5 department should take. It's a great idea, but as
6 we wrestle through it, we actually thought that it
7 would actually be a pretty complicated process.
8 You would either end up with a large number of
9 generators sitting somewhere, then you have to
10 move them, just a number of things. And also I
11 think politically, at the top of page 3 you see
12 the statement at some point you get to the point
13 of picking winners and losers because you'll never
14 have enough mobile generators to give one to
15 everybody. And that seems to be a difficult spot
16 to be.

17 So I think you can read the paper. I
18 think maybe the easiest thing, David, unless you
19 have anything you want to add, is just to see if
20 there are any questions. It is a pretty brief
21 document, again, pointing to a very specific
22 question that was asked.

1 MR. COWART: Thank you. Comments on
2 this paper? Commissioner LaFleur?

3 MS. LAFLEUR: Yeah, thank you. I just
4 looked at this paper so, hopefully, I haven't
5 forgotten as I'm going to ask this question. This
6 paper was about having the deal we organize or
7 oversee as strategic reserve, I guess, at this
8 strategic petroleum reserve or whatever. My
9 question is, is there an industry-led effort
10 already here? I know there's a spare equipment
11 database that relates to high-voltage transformers
12 that is intended to facilitate an emergency
13 sharing of transformers or at least knowing where
14 they are. Is there something like that for this
15 roll-on generation that exists now or is it an
16 idea that we should think about?

17 MR. BALL: To my knowledge there's no
18 such formal process. If you were asking about --
19 certainly there are, and Dave's familiar with it,
20 from a NERC perspective as well as there's an EEI
21 STEP effort that the Edison Electric Institute and
22 others participate in. Not that I know of. I

1 will tell you just from a practical standpoint,
2 someone who's lived through a bunch of hurricanes,
3 there are a number of vendors out there. So
4 finding mobile gen sets actually -- these are
5 things as well that you can -- in theory, in your
6 preparation measures, these are things that are
7 easily handled by pre- contracting with others or
8 determining where you may need these and
9 pre-placing them.

10 So I don't -- just sitting here, I'm not
11 sure that there's a lot of value in trying to
12 create that. I've never in my experience never
13 been in a situation where I've been called by
14 another utility. But certainly if I was, we would
15 help them in any way we could.

16 MS. LAFLEUR: Thank you. I mean I've
17 used them, too, but just in one-offs, but never --
18 you know, I don't know that there's enough of
19 these roll-on sets around for a big hurricane or
20 something. But I don't know, maybe.

21 MR. COWART: David?

22 MR. NEVIUS: I agree with the paper as

1 written, but I think it might be useful to add to
2 it a description of what DOE's responsibilities
3 are under ESF 12, Emergency Support Function
4 Number 12, where they have energy responsibilities
5 in an emergency to help coordinate federal support
6 and efforts. Now, that doesn't go so far as to
7 say they should have a reserve of portable
8 generators, but they do respond on behalf of the
9 industry. The industry can ask DOE for help.

10 In the case of hurricanes, I know
11 Hurricane Andrew, they organized the deployment of
12 National Guard into Florida to help sort of keep
13 the peace and keep folks from stealing chainsaws
14 from the utility crews and things like that. So
15 there is a function for DOE that already exists,
16 and I think just acknowledging it in this paper
17 would be useful to have it documented.

18 MR. COWART: In line with our
19 conversation that we just went through, is that a
20 single sentence fix that can easily be done today?

21 MR. NEVIUS: I think it's a single
22 sentence with a link.

1 MR. COWART: Thank you. Bill, do you
2 want to comment?

3 MR. BRYAN: Sure, just briefly. I want
4 to comment on David's comment, and thank you very
5 much for that comment and calling out our ESF 12
6 functions. That was actually that idea generated,
7 frankly, with myself, looking at what -- you know,
8 we're under the gun, frankly. All the ESFs and
9 all the sector-specific agencies under the
10 presidential directive to come up with --
11 brainstorm ideas for better mitigation and
12 resiliency.

13 And when this nation shifted away from a
14 protection focus of critical infrastructure to a
15 resiliency focus back around the 2005, 2006 era, a
16 lot of pressure has been put on all the sectors to
17 actually document what efforts are you trying to
18 work through to make your system, your sector more
19 resilient to an all-hazards environment. So
20 that's where that stemmed from.

21 So we'll continue to have ideas, they'll
22 surface, they'll come to the top, and we'll throw

1 them out to you to take a look at and tell us if
2 it makes sense. But I do appreciate the committee
3 looking at that and providing your response to
4 that.

5 MR. ROSENBAUM: If I may jump in on
6 that, Bill. The way I would address Dave's
7 comment, I used to work the emergency response
8 stuff when I worked under Bill earlier in my
9 thing. The ESF 12 responsibilities are laid out
10 in detail in the national response framework. And
11 the way I would address this comment in here is to
12 reference that document that's online and approved
13 by all the agencies to describe the
14 responsibilities we have there, and that would be
15 a quick one- sentence fix to your solution there.

16 MR. COWART: And as we move forward,
17 just assume that that sentence is written and
18 added today. Clark?

19 MR. GELLINGS: Just to be complete, we
20 are in the process of demonstrating a recovery
21 transformer substation size, DHS, EPRI, and
22 CenterPoint Energy. Successful, by the way, so

1 far, but a ways to go. So if you want to make a
2 quick reference to that with the completeness of
3 the document, that would be good.

4 MR. COWART: Brad?

5 MR. ROBERTS: Brad Roberts, ESA. It
6 just seems to me that this was a very specific
7 proposal and a very specific recommendation and I
8 don't think it needs to be modified or changed.
9 It stands on it's own and the recommendation is
10 not to do it.

11 MR. COWART: Mike?

12 MR. HEYECK: I just wanted to -- Brad,
13 you're exactly right. This is a very specific
14 question and what we intend to do with grid
15 resiliency is actually in the next item which is
16 asset life -- doing a survey of asset life and
17 going back to and, in fact, enhancing the
18 recommendation we made a year and a half ago. And
19 that is as we replace assets in the next 10, 20,
20 30 years, we replace them in such a way that adds
21 resiliency security, efficiency, and reliability
22 in a better way and enhance capacity. And that's

1 the intent of the group. This was very narrow and
2 specific.

3 MR. COWART: Are we ready for a motion?
4 Rick?

5 MR. BOWEN: Yeah, I just had one comment
6 and that was that I think this is a perfect
7 example of what this group ought to be doing or
8 this board ought to be doing, and that is if
9 indeed -- I mean, it's okay for us to have a
10 response which is a no or nothing because that is
11 what we're intending to do here. It's not to
12 always come out with -- I mean, clearly the DOE
13 has plenty to work on. I don't think it should be
14 this advisory board's responsibility to delegate
15 up or delegate out additional work for you all. I
16 think to the extent that the question's asked and
17 answered, then I certainly appreciate the fact
18 that that's what we're giving it. And the two
19 guys will take it that way because I think that is
20 what we're about and then, hopefully, that's
21 helpful. And I personally would recommend we move
22 forward with it, so so moved.

1 MR. COWART: Is there a second? Wanda?
2 All right. Any further discussion?

3 All in favor of improving this document
4 with a reference to the federal emergency --
5 department's emergency response obligations, just
6 add it as a cross reference, say aye.

7 GROUP: Aye.

8 MR. COWART: Any opposition? All right.
9 Unanimously adopted. Thank you very much.

10 MR. HEYECK: On the thread of
11 resiliency, I wanted to have Clark Gellings talk
12 about the EPRI-sponsored survey on asset life, and
13 then I'll have a concluding statement for the
14 committee.

15 MR. GELLINGS: Thanks. This is Clark
16 Gellings from EPRI. I think we all recognize that
17 there's only really modest information on the
18 actual life of transmission and distribution
19 equipment. I mean, there's a lot of folklore
20 around this and there are some facts. It's an
21 area of concern for all of us. Specifics would
22 help a great deal for the community at large for

1 RND planning to do things like developing better
2 maintenance guidelines and actually, in looking at
3 equipment specifications for replacement of
4 equipment down the road.

5 Now, when I joined the EAC earlier this
6 summer, this discussion apparently was already
7 underway and some material had been drafted. What
8 I added to the discussion primarily was to suggest
9 that EPRI's already got an effort somewhat
10 underway. What we have at the moment is a
11 workshop scheduled. Actually, we've gotten one of
12 the Canadian utilities have stepped forward to
13 encourage us to do this and a number of others
14 have joined. We need to define what assets we
15 want to look at, we need to craft this survey in a
16 way that utilities see value in participating, we
17 need their cooperation of course. If you know how
18 we're structured, we also need their funding so
19 that we can get it done.

20 I would suggest that given the effort
21 that we've already started and from what I
22 understand and I can easily be corrected here, the

1 difficulty that DOE might have in doing a survey
2 of this type and collecting information, it's
3 something that we can do, that we not take any
4 action as an EAC with regard to some kind of a
5 document surrounding asset life until we get a
6 chance to see what the response is from the
7 discussions we're going to have at our workshop.
8 And yes, certainly we most welcome cooperation,
9 collaboration in this regard, but I don't know
10 that there's necessarily a specific action that we
11 would suggest today. Mike?

12 MR. HEYECK: Yeah, there is going to be
13 two tracks. One is the EPRI-sponsored and I know
14 the industry, not only EPRI, but the North
15 American Transmission Forum, NERC, there is
16 activity now to capture the end of life assets.
17 But as we thread this, that survey was to produce
18 what that bow wave of need is in the next few
19 decades. And as we replace those assets, is there
20 a roll with DOE to help us develop guidelines to
21 add as I mentioned, resiliency, reliability,
22 efficiency, security to those assets as we

1 replace. Any comments?

2 MS. REDER: I would just say that I
3 think that topic's one of the most important
4 things that we could focus on. Clearly, there's
5 going to be a lot of investment in the aging asset
6 infrastructure going forward and to the extent
7 that there's guidelines and the suggestions on how
8 we can incorporate new technology and do it wiser
9 in the future, I really think that that's well worth our
10 time going forward.

11 MR. HEYECK: And I'd encourage all the
12 new members to join the Transmission Subcommittee
13 to be able to address that.

14 MR. COWART: So that action step in
15 front of us, Mike, is precisely what?

16 MR. HEYECK: There's no action step
17 here, it was just an update.

18 MR. COWART: All right. So you're not
19 proposing a specific action that you're asking for
20 committee approval of?

21 MR. HEYECK: Correct. This would be
22 something that might actually postdate March.

1 MR. COWART: Okay.

2 MR. HEYECK: We'll just keep apprised of
3 the EPRI- sponsored events or any other industry
4 sponsored events that attempts to survey aging
5 assets. And I do have a concluding remark before
6 we move on.

7 MR. COWART: Pat?

8 MS. HOFFMAN: I guess I have -- first of
9 all, thank you very much, Mike, for all the work
10 that you have done in the Transmission
11 Subcommittee. I appreciate all your hard work. A
12 couple of thoughts.

13 On the asset life, one of the things, if
14 we can get some more value, might be to consider
15 some of the work that folks are looking at in
16 standardizing nomenclature for the assets and
17 continuing to push standardization with respect to
18 identification. One of the areas that we're
19 looking at besides asset life is in management,
20 really health of equipment. And one of the things
21 is getting more aligned to predict a failure or
22 where a piece of equipments getting to the point

1 that it may be at it's end of life.

2 So some concepts around that that we're
3 looking at from a sensing, monitoring, kind of
4 grip perspective might be valuable to include as a
5 valuable package on this activity. The other
6 thing is, as we move forward from the earlier
7 conversation, is the data exchange. As we look
8 for planning models or et cetera, if we can build
9 the assets to where it's being -- build an asset
10 database where it can feed into the models, that's
11 something else that we can look at. I think that
12 was a discussion that we started talking about
13 yesterday, of if we can get this organized, let's
14 do it once and do it for multiple values and
15 purposes.

16 And then one thing that I'd like to talk
17 to the Transmission Subcommittee on is we've
18 talked about the EMS system and as you guys were
19 having your conversation, I started thinking
20 about, what is some of the prerequisites as we
21 talk about next generation EMS? The thing I'm
22 looking at is, are we far enough with the PMUs and

1 some of the reference points there to get to a
2 next generation EMS? And that's a question that
3 we want to make sure that we're successful in the
4 building blocks. One of the things I want to go
5 after are building blocks that will provide value
6 to the industry in the future. So thank you.

7 MR. COWART: Mike?

8 MR. HEYECK: Comments are very well
9 taken, but maybe Ralph Masiello has something to
10 add on that.

11 MR. MASIELLO: Yeah, I'm sorry to
12 prolong the conversation. Anecdotally, KEMA has a
13 software product that's something like 50 U.S.
14 utilities used to track asset condition,
15 maintenance activity, condition assessment
16 information with stuff in it from notes to
17 infrared photographs, et cetera. And I bring it
18 up because we're unable to make use of that to do
19 work in developing improved methodologies or any
20 analyses because of the proprietary nature of the
21 data.

22 And all of the users of that software do

1 not want any of that information used in some
2 broader report that gets in front of the
3 regulatory process. And so there's a policy
4 problem that says, best practices type information
5 can't be used and disseminated for fear that an
6 individual maintenance decision becomes subject to
7 some legal process. Just for what it's worth,
8 that's something that's part of the U.S.
9 Environmental problem that could be addressed.

10 MR. HEYECK: Yeah, points well taken. I
11 think that that is one of the impediments actually
12 to capture asset life of a wonder of things. If
13 you could take a picture of it, and I think Joe
14 Walsh has taken pictures of several assets and
15 given presentation on those, I think it's out
16 there. But your points are well taken.

17 Regarding your comment on PMUs, PMUs are
18 in an alternate space in a parallel universe.
19 They talk to servers outside the of the EMS
20 paradigm today. And that's good for one thing:
21 It doesn't have to be cyber secure, it just talks
22 and uncovers issues, but we need to put it back

1 into EMS. And again, that's a point well taken.

2 MR. BALL: This is just actually to
3 respond to Ralph's comment. The type of issue you
4 just raised about a place where people can discuss
5 very practical issues and share practices, ask
6 questions, and that's why we started the North
7 American Transmission Forum, and so a place where
8 those conversations can be had in a very practical
9 manner, really so that all the members, all the
10 various transmission owners can move each other to
11 a greater level of operational excellence. But it
12 is a challenge.

13 MR. HEYECK: We need to flesh out --
14 this is Mike Heyeck again. We need to flesh out
15 our work plan for 2013 and grid resiliency is
16 going to be one of the main threads as well as any
17 follow-on on the technology front with EMS and
18 power electronics. This isn't just me, there's
19 many. And many on the subcommittee have done a
20 whole lot of work to get to where we are today.
21 And one of the mantras we've been using is, we
22 need to focus on that which DOE can do even if

1 it's simply to convene. But this next generation
2 EMS issue -- we've raised the issue, it's
3 heightened, and it's very, very important, and if
4 we don't address it in the next five years or so,
5 we're going to have a problem operating the grid.
6 So I'm really pleased with the Transmission
7 Subcommittee. Thank you.

8 MR. COWART: Tom?

9 MR. SLOAN: Tom Sloan, and a question
10 for Mike and Ralph. On your program, and I'm sure
11 there are others out there, is there a role that
12 we could play in -- again, with the DOE partnering
13 with state legislator and commission organizations
14 to provide a limited immunity for data sharing
15 that goes to a federal agency?

16 MR. HEYECK: That's above my pay grade.

17 MR. SLOAN: You're no longer relevant.

18 MR. CURRY: I'm a lawyer in private
19 practice. I'd love to see some of your
20 (inaudible).

21 MR. SLOAN: Actually, we give them
22 immunity for a variety of things already, I'm just

1 asking if this is one we need to be looking at.

2 MR. COWART: Thank you very much. And
3 just let me add that I think the work of the
4 subcommittee in the recent period has been really
5 terrific and I want to congratulate you, Mike, and
6 the subcommittee for what you've brought to us at
7 this meeting.

8 We are at the time for our morning
9 break, so let's -- if you look at the agenda,
10 we've got about 15 minutes. Then we will come
11 back at 9:45.

12 (Recess)

13 MR. COWART: Okay, folks, please take
14 your seats. We need to get going. Elliot, will
15 you round up whoever is in the foyer?

16 Our next segment concerns the work of
17 the Storage Subcommittee and in particular the
18 Storage Report which is a significant work item
19 for the subcommittee and the full committee. And
20 I'll turn it over to Ralph the chair of the
21 subcommittee.

22 MR. MASIELLO: Where to start? As the

1 report notes in the introduction, this is a
2 statutory requirement. So, if we don't get it
3 submitted by year-end, I go to jail and Rich is on
4 probation. (Laughter) More pragmatically, we'd
5 like not to --

6 MR. COWART: I hope the transcripts
7 reveals the laughter that accompanied that
8 statement. (Laughter)

9 MR. MASIELLO: But it is a requirement
10 on us and because of the size and the depth of the
11 report, this took precedent over any whitepapers
12 or other work that happened last year when we
13 didn't have the requirement.

14 So, a number of people contributed large
15 efforts to this. Tom Clark, the ICF staff, Brad
16 wrote major sections of text, Gordon reviewed it
17 really carefully and rewrote numerous sections for
18 us. Unfortunately, in final handoff and getting
19 corrections and some sloppiness got into it and
20 I'm going to go through that this morning. But
21 we're in the same situation as the other papers,
22 but maybe a little more difficult.

1 To save us time this morning, I've
2 summarized all the comments I've received,
3 specific comments, and the resolution that's
4 proposed. Because this will -- hopefully, we can
5 get past a lot of the obvious things.

6 Number one, Table 2 is the summary of
7 Arpa-e activities. It's three pages long and we
8 propose to turn that into a single, condensed
9 table because there is no point in putting a
10 report to DOE material from the DOE website on DOE
11 activities. And the Executive Summary is too
12 long.

13 On page 21, there is a reference to an
14 ongoing process in California where the CPUC made
15 a conditional decision on PPAs for Southern Cal
16 Edison about concentrating solar thermal. And
17 what really happened is the CPUC, in essence, said
18 we're not going to approve the ones that don't
19 have thermal storage and we will conditionally
20 continue the process towards approval for the ones
21 that do. The way it's written it doesn't come
22 across clearly so that'll be rewritten.

1 Page 25 has got, among the different
2 project examples, a discussion of an application
3 to LIPA from AES for storage in response to an RFP
4 LIPA has out for generation, really for congestion
5 relief. So, we're going to double check that that
6 is correct current status from the time this was
7 written. Pardon? Somebody?

8 MR. ROBERTS: There's the guy right
9 there.

10 MR. MASIELLO: What, Brad?

11 MR. ROBERTS: Well, Chris is the --

12 MR. MASIELLO: Yeah, Chris and I have
13 been discussing that.

14 MR. ROBERTS: Okay, all right.

15 MR. SHELTON: Yeah, I think the -- it
16 just needs to be checked for accuracy to the
17 current status.

18 MR. MASIELLO: Yeah, we didn't have
19 access to Chris before now.

20 Okay, page 35 and 57 make a reference to
21 FERC 1,000. It should be to an open NOPR. We'll
22 get the right identification of the NOPR in there.

1 Page 55 is a cut-and-paste issue where
2 there's a paragraph that doesn't flow correctly
3 and makes the following bullets unclear and we
4 just delete -- the paragraph should have been
5 deleted. Similar issues in 56 and 62 to 63.

6 In page 64 is a substantive change that
7 Sonny brought to our attention. And 64 deals with
8 the -- there's a comment in there that basically
9 says people are afraid to invest in storage
10 because if it fails prematurely, in retrospect, a
11 regulatory disallowance of the investment could be
12 allowed. And the way it was worded didn't work,
13 let's say, and Sonny gave us wording that corrects
14 it.

15 So, any other factual corrections or
16 inconsistencies people have discussed we should go
17 through this morning. What I'd like to do,
18 though, is look at the conclusions and
19 recommendations to start the discussion.

20 So, you know, if you step back from the
21 report and look at what's in it, there's a
22 discussion of state-of-the-art applications of

1 storage in Section 2. And some conclusions about
2 that, that basically say storage is viable in some
3 applications today. And the evidence for that is
4 private investors are going off and doing things
5 with their own money without incentives or federal
6 support, in particular regulation services and
7 restructured markets and use of storage in
8 renewables integration in situations where there
9 aren't economical conventional generational
10 alternatives. And there are examples in the
11 report of that.

12 In other applications we're still
13 challenged by the economics or by lack of
14 understanding or uncertainty. But the committee
15 report says the benefits for capacity factor
16 improvement, reliability emissions, renewable
17 integration, are still potentially significant,
18 but the case has yet to be completely proved.

19 And then a number of barriers to
20 adoption are identified and described at length,
21 one of which is worth taking a look at. ESA
22 conducted a survey of state regulatory and

1 legislative bodies for us. Really what happened,
2 forgive me, David, is the Paperwork Reduction Act
3 made it impossible for this committee to directly
4 conduct a survey. So, Tom, wearing his hat as
5 legislator, and Brad, wearing his hat as ESA
6 chairman, organized the survey and went to NARUC
7 and other meetings. Correct, Tom? And introduced
8 the survey; ESA collected the responses. The
9 subcommittee drafted the assessment of those
10 responses, put the results in as an appendix, and
11 ESA has now put this on their website, I think
12 almost verbatim as it appears in the report.

13 MR. ROBERTS: ESA has put out a report
14 on the findings of the surveys.

15 MR. MASIELLO: Yeah, and it looks word
16 for word, I think, what's in the appendix. There
17 are a couple of conclusions from that that are
18 headlined. First is the state bodies are saying
19 we don't have any information. We need to learn
20 more before we can deal with it, and pretty
21 conclusively.

22 And second, for DOE's consideration,

1 these people are saying webinars and conferences
2 and publications are not the way to communicate to
3 us. Now, this is kind of hard, but they are
4 saying come conduct a workshop for our staff and
5 our offices and take the time. So, that found its
6 way into the recommendations, as difficult as it
7 may be.

8 The short-term recommendations show up
9 in the Executive Summary and again in the
10 Recommendations section. Some history to this, in
11 2008, the first report recommended that DOE
12 conduct a study into the genome of storage and the
13 idea here originated with Donald Sadoway at MIT.
14 He said, you can go look at the electrochemical
15 potential of all sorts of combinations in the
16 periodic table and assess what the potential
17 electrotechnical benefits could be, meaning the
18 energy density per pound, for instance. And he
19 had examples. So that report said go off and
20 pursue the idea.

21 Out of that there is a current project
22 by Arpa-e. Now, granted, the thrust of that

1 project isn't exactly the DNA of the periodic
2 table, but it addresses it as part of its
3 function. So the recommendation is continue that.

4 A second recommendation is that more
5 detailed studies of how storage plays into the
6 high renewable penetration scenarios being
7 examined are needed. And the origin of this is
8 most of the regional studies on future RPS
9 scenarios, wind integration studies and the like,
10 didn't look at storage explicitly at the time they
11 were done. The PJM study underway more explicitly
12 factors this in, but others before that have not.
13 So, that's a recommendation.

14 The EISA established a number of
15 technology research hubs and there is an active
16 procurement underway for the storage hub, we
17 believe, where RFP's app proposals have been
18 submitted and the recommendation is to go ahead
19 and fund one. Complete the process and fund one.

20 Another recommendation is to publicize
21 the storage technology roadmap. This was
22 discussed last year with DOE and what the path is

1 to get technologies from research stage to
2 commercially viable and then, per that roadmap, to
3 continue funding demonstration projects. So,
4 those would be recommendations, i.e., for next
5 year.

6 Medium term, look in more depth at what
7 high photovoltaic and electric vehicle
8 penetrations can mean, including field
9 measurements and analysis in pockets of high
10 penetration. Continue with what comes out of the
11 materials genome effort. Research on storage
12 longevity is needed because one of the big
13 barriers to adoption is how long does it last,
14 what the depreciation schedules look like.

15 A novel idea not in prior discussions is
16 to look at what the transportation sector outside
17 cars means to the grid in terms of storage use, so
18 buses, trucks, rail, et cetera. If they are pure
19 hybrids that don't plug into the grid, no issue,
20 but if they potentially have to be charged in bus
21 terminals, for instance, this is an impact. Per
22 the study of regulators and legislators conduct

1 the outreach that's basically requested by those
2 bodies and still more work on emission impacts of
3 storage and ancillaries and renewable integration.

4 So that's what is in the report and the
5 things that we know have to be fixed in the next
6 version. We didn't put out incremental versions
7 the past two weeks because we saw no point in
8 flooding you with 70 page documents. With that,
9 Richard, open for discussion.

10 MR. COWART: Comments, questions about
11 this report? Paul.

12 MR. CENTOLELLA: Paul Centolella. I
13 guess, you know, and I'm not on the subcommittees,
14 so I, you know, I have not -- I was looking at the
15 October 1st draft and, you know, have not been
16 part of the discussions that have led to this. A
17 few things that occurred to me as I reviewed it.

18 First of all, you reference the Genome
19 Project as being REACT. As I look at REACT in the
20 Arpa-e framework it's about magnets and motors as
21 opposed to about, you know, genome about storage.
22 And there are at least -- well, depending on how

1 you count them -- you know, six other Arpa-e
2 programs that in some way relate to storage and
3 are not specifically called out.

4 And I guess I'd like to get a clearer
5 reference to where the genome work is going on
6 and, you know, some discussion of how these other
7 Arpa-e programs fit into the roadmap. Because I
8 think going forward, one of the things that will
9 be important to support is, you know, is what the
10 advanced research on both storage chemistry and
11 storage technologies are going forward. And I saw
12 this report as being a lot more about, you know,
13 here are the existing storage technologies that we
14 have and let's figure out how to, you know, where
15 they are cost effective and how to deploy them.

16 When, in fact, I think, one of the most
17 exciting areas is what's happening in some of the
18 advanced research on storage that, you know, maybe
19 didn't get -- it got in the table that you
20 mentioned but didn't get as much emphasis perhaps.
21 And, you know, the one reference, one specific
22 reference to an Arpa-e program doesn't seem to

1 exactly correlate with the way Arpa-e describes
2 that program. So, that was an area where I
3 thought there needed to be some further
4 development.

5 I also noted that there were, you know,
6 occasional differences between the recommendations
7 in the Executive Summary and the recommendations
8 at the end of the report. In particular, I think
9 the Executive Summary calls out specifically the
10 funding of the hub. And it doesn't appear at the
11 end of the report, I don't believe, or at least I
12 didn't see it there.

13 MR. MASIELLO: The Executive Summary was
14 intended to be a condensation of what is in
15 Section 6.

16 MR. CENTOLELLA: So, I just, you know,
17 ask you to look at that and make sure that you're
18 being consistent there.

19 I guess my next comment is maybe one
20 about scope. And I'm not necessarily saying that
21 you should expand the scope, but I think you need
22 to be clear about the implications of the scope

1 that you've drawn. So, if I look at the electric
2 system today and particularly look at the
3 opportunities at an end-use level where there are
4 many end uses that have either thermal inertia
5 associated with them or scheduling flexibility
6 associated with them, this represents an implicit,
7 potentially very low cost kind of storage that
8 we're not taking advantage of on the grid now.

9 I think it's a very important near-term
10 opportunity for DOE to do some things in that
11 area. Not conventional kinds of storage
12 technology, but perhaps ought to be noted as an
13 area of future focus where there are really
14 important near-term opportunities that DOE could
15 reach by it's convening authority in some very
16 valuable and rapid ways. And if you're not going
17 to address that, you should at least point out
18 that this is an additional area that DOE might
19 want to consider.

20 MR. MASIELLO: Paul, I don't want to get
21 into a back and forth defending it, but on page 45
22 there's an extensive discussion of thermal

1 storage. And again later in the report it talks
2 about hot water heaters and soft pedals that
3 because of the contentious issue over efficiency
4 standards shrinking hot water heaters at the same
5 time as thermal masses (inaudible).

6 MR. CENTOLELLA: I understand that issue
7 and so I kind of brought this up because there are
8 places where you seem to say, well, we're not
9 going to deal with this and describing scope and
10 then there are other places where you sort of deal
11 with it in partial ways. And I just -- you ought
12 to be clear about what you're doing and what
13 you're not doing.

14 MR. MASIELLO: We made a conscious
15 decision to not talk about whole varieties of
16 end-use storage, you know, other than the section
17 on portable power that notes it's going on and not
18 talk about fuel storage, for instance. So, but we
19 certainly could add language that says more
20 nontraditional, nonelectrical storage is what
21 you're saying, right?

22 MR. CENTOLELLA: Yes, yes. And there

1 are real opportunities to take advantage of things
2 there, you know. And just, you know, I didn't
3 want it to sort of get lost in between being
4 partially dealt with and at other points seemingly
5 to say this is outside the scope of the report.

6 MR. MASIELLO: Right.

7 MR. CENTOLELLA: And I guess my final
8 comment here is there are specific recommendations
9 about, you know, funding for demonstrations. And,
10 you know, that's all well and good. I think it
11 would be -- may be helpful to have some thought in
12 the report about exactly what type and nature of
13 demonstration you're looking for, what criteria
14 the department should be looking at. I mean, just
15 saying we should put more money doesn't
16 necessarily tell, you know, either the department
17 or Congress --

18 MR. MASIELLO: I don't think the group
19 is in a position to say here are the winners and
20 losers. Right? We're saying instead publish the
21 roadmap and move down the roadmap.

22 MR. CENTOLELLA: Okay.

1 MR. MASIELLO: And you'll notice, for
2 instance, there's a table in there and here's the
3 state of technologies in the market. And it
4 points out a technology that was very popular a
5 couple of years ago, is on hold right now until
6 the causes of fire in the field are understood and
7 corrected for. Right? That was the leading bulk
8 storage technology being bought commercially in
9 thousands of megawatts and now it's on hold. So,
10 I think, for us to say this is the right thing to
11 go do as opposed to publish a roadmap and then
12 follow it, that was our thought.

13 MR. CENTOLELLA: I think that's fine.
14 It's just -- you know, so I noticed at one point
15 in the discussion of demonstrations it says, well,
16 demonstrations following the roadmap discussed in
17 Section 4, but Section 4 is on other government
18 activities. So, you know, it was just not clear
19 how you were getting to looking at exactly how --
20 what it was that were the demonstrations or the
21 nature of the demonstrations or the criteria for
22 the demonstrations that you were suggesting

1 funding for. So, another area with just some
2 clean-up and some consistency is needed.

3 MR. COWART: Sonny?

4 MR. POPOWSKY: Yeah, thanks, Rich, and
5 thanks, Ralph. I just want to mention in the list
6 of the changes you made, a couple of them were
7 ones that I had recommended. Actually, there were
8 three of them and I think you caught two but not
9 the third one.

10 There was another one and I don't think
11 it's at all, you know, essential to the paper. It
12 was just a reference on page 56 to decoupling,
13 which I thought inaccurately described the impact
14 of decoupling. I think either with or without
15 decoupling, it's always within the utility's best
16 interest to operate efficiently. And I think
17 there is a sense at the bottom of the page that
18 suggests that it's not. I think I sent that to
19 you, it's right before the end of the page.

20 MR. MASIELLO: Yeah.

21 MR. POPOWSKY: I would just delete that
22 sentence. I don't think it's --

1 MR. MASIELLO: It doesn't say -- well,
2 all right. The simple thing to do is delete that.

3 MR. COWART: For what it's worth, Ralph,
4 I agree with the point.

5 MR. MASIELLO: Yeah, a lot of us would
6 agree with that point.

7 MR. COWART: No, I mean, I agree with
8 Sonny's point that the -- we would not want to
9 suggest that the throughput incentive is the same
10 thing as using equipment efficiently or storage.
11 It's just a different thing.

12 MR. MASIELLO: Okay. Sentence struck.

13 MR. COWART: Okay. David and then
14 Wanda.

15 MR. NEVIUS: Dave Nevius, NERC. Ralph,
16 I was wondering in the context not just of this
17 paper, but some of the other papers that we've
18 talked about earlier, if it would be worthwhile,
19 at least, mentioning the other activity, like EMS
20 Systems. Because in EMS Systems we talked about
21 the need to have an architecture where you can
22 model storage. And in the non-wire solution paper

1 we talk about how various non-wire options should
2 be considered in lieu of transmission. So just
3 some cross-links between the different papers. I
4 don't know when they're all going to arrive at the
5 secretary's desk, but tying them together possibly
6 would be helpful.

7 MR. MASIELLO: Cross-links are the ones
8 that were approved today, that are approved as of
9 this meeting, let's say.

10 MS. REDER: Wanda Reder. Ralph, just a
11 good piece of work. In fact, I think this
12 document establishes such a strong foundation of
13 the status that it can be used for a lot of other
14 purposes.

15 The one thing that I wanted to call the
16 attention to is that survey. As I think about the
17 activity across the subcommittees, often we have a
18 recommendation that bubbles to the top on DOE's
19 interaction with the states and trying to make
20 that meaningful and impactful. And I think that
21 survey, while it's embedded into the appendix of
22 the storage report, it can really be leveraged

1 across a lot of fronts. Because there's some
2 really good information in there and how to
3 communicate, what to communicate to effectively
4 connect with that audience. So I just want to
5 make sure that that gets elevated and gets the
6 appropriate attention.

7 MR. MASIELLO: Yeah, that's one template
8 for how this group can get work like that done.
9 Right? Leverage some other organization that can
10 actually do the work. It solves legal problems
11 and it solves research problems and it solves the
12 willingness of the target people to respond to
13 you, all those things. Had we approached state
14 bodies as a DOE committee, we probably would have
15 run into some resistance to answer the
16 questionnaire, for instance. So, it worked.

17 MS. REDER: Yeah, it worked.

18 MR. MASIELLO: With, you know, a lot of
19 effort from people, a couple of people flying to
20 meetings and stuff.

21 MS. REDER: Can you just double check
22 that typo, that megawatt for Predidio. It think

1 it's four instead of five, but we can work that.

2 MR. MASIELLO: Yeah, I got the
3 information from AEP.

4 MS. REDER: It should be four.

5 MR. MASIELLO: Okay.

6 MR. COWART: Paul?

7 MR. HUDSON: Ralph, just a parochial

8 point. On page you mentioned a statute that
9 passed in the Texas legislature. And you carry on
10 to talk about the administrative rules that
11 passed. There have also been revisions to ERCOT
12 protocol and to the operating guides at ERCOT that
13 I think are worth noting.

14 And then back on page 46, when you're
15 talking about government activities, you mention a
16 specific docket in Texas that's laying fallow.
17 And the reason it's laying fallow is because of
18 the activity that you mention up on page 8. And
19 I'm just thinking perhaps you could carry forward
20 the information on page 8 back into the more
21 specific government activities description that
22 you have back on page 46.

1 MR. MASIELLO: Okay. Yeah, we couldn't
2 address 50 states, right? And so the ones you
3 pick, then you run into the risk of how will the
4 mention be perceived.

5 MR. COWART: Tom and then Pat.

6 MR. SLOAN: Tom Sloan. I want to
7 reference the ESA survey also because I want to
8 point out that one of the strongest, from my
9 perspective, recommendations to the DOE is that
10 there's a question that I'd asked: What are your
11 most trusted sources of information? And it's the
12 national labs and federal agencies. So, you know,
13 as a body in this subcommittee report and the
14 others encourage the Department of Energy to reach
15 out and provide information it's a two-way street.
16 Because one of the things that the respondents
17 also said was they don't necessarily know what
18 they don't know. And so, again, I think the ESA
19 work -- and I commend Brad for making it possible
20 -- you know, can be invaluable to us and to the
21 department.

22 MR. MASIELLO: Yeah, should the report

1 emphasize that more? Gee, the states really like
2 and trust DOE more than they trust manufacturers,
3 consultants, and utilities and developers. That
4 was the message. Right?

5 MS. HOFFMAN: I just wanted to emphasize
6 a couple points. I think Dave Nevius brought up
7 the importance of adding storage to some existing
8 tools and applications, and that's extremely
9 important. I think the importance of sharing data
10 and getting, you know, basic standards around the
11 data that's shared over time with respect to the
12 performance of energy storage devices are
13 critical, you know, given your earlier
14 conversation as well as the benefits analysis as
15 we continue to look at that because that's going
16 to be how we move things forward.

17 And I go back to an earlier conversation
18 on optimizing the system. PNNL did a study they
19 came out in June on the Western Interconnect and I
20 kind of parallel these reports. I'm looking at
21 that one so I wanted your thoughts at some point
22 in time on the PNNL study and the phase one WECC

1 study as well.

2 MR. MASIELLO: Okay.

3 MR. COWART: I'm going to call on
4 myself.

5 (Laughter)

6 MR. MASIELLO: Are there specific things
7 you'd like the report to address from those
8 comments? You know, it does talk about specific
9 needs for analytics against particular storage
10 applications. Right? You know, it calls out the
11 distribution system. Today you can't model
12 storage or assess it. And this precludes
13 utilities from doing anything about it, if you
14 will. Right?

15 MS. HOFFMAN: I didn't have any specific
16 changes.

17 MR. MASIELLO: Okay. Thank you.

18 MR. COWAN: Ralph, I also want to echo a
19 comment that Paul made about thermal storage and
20 the use of smart charging and other techniques to
21 take advantage of variable resources and to deal
22 with, frankly, many of the same concerns that

1 grid-to-grid storage is meant to address. It's
2 clearly not the theme of this paper and I
3 understand that. But I think right up in the
4 introduction where you're talking about storing
5 gasoline and gas tanks or what have you, you need
6 a couple of sentences that acknowledge that the
7 practical availability of storage, thermal
8 storage, and hot water heaters in buildings, in
9 the timing of charging vehicles, or in ice making
10 or what have you, is at least as large as the
11 total quantity of existing storage on the grid
12 today, existing grid-to-grid storage.

13 MR. MASIELLO: Yeah. Help me out,
14 fellow drafters. I think we had a discussion and
15 where we sit there is a difference between demand
16 response and storage. Right? And quite a few
17 building thermal storage applications, you know,
18 we felt were more existing DR than are energy
19 storage per se. There's a fine line there.

20 MR. COWAN: Well, I think there is a
21 distinction between straight demand response,
22 which is interruptible load if you want to, in

1 traditional terms, and timed use of electricity on
2 the grid in order to defer the need for
3 electricity later. So, sure there is a
4 difference, but we heard from PJM that they
5 calculated that the capacity of hot water heaters
6 on the PJM system to absorb variable load and
7 defer peak is at least as large as their entire
8 pumped hydro system.

9 So, and the same thing is true in many
10 other systems. I just think it's a mistake for us
11 to focus entirely on grid-to-grid electricity in
12 electricity out-storage without mentioning that
13 the opportunities to use timing and thermal
14 storage are also very large. It's not -- we don't
15 need to hijack this report into that direction.
16 We just need to note it.

17 MR. MASIELLO: Since we got the
18 discussion going. If you pre-cool a building at 3
19 a.m., you're putting energy into the building that
20 you can take back out by turning the AC off at 2
21 p.m., so that's storage. But if you turn off the
22 hot water heater and let it turn back on, that

1 isn't storage, that's demand response, okay? If
2 we had a way to tell the hot water heater raise
3 the temperature of the hot water 10 degrees
4 temporarily, then it would be storage. And that
5 was a distinction we talked about. We didn't
6 explicitly write it that way, though.

7 MR. GELLINGS: And the other thing --
8 Clark Gellings from EPRI -- and the other thing
9 that we debated was just how far do you go with
10 this. Because if you embed phase change materials
11 into wallboard, for example, and change the
12 thermal integrity of the building, that's energy
13 storage in some sense. So, we thought we'd stay
14 with the as close to the electrical side as we
15 could.

16 MR. MASIELLO: Yeah, our translation has
17 got to be fungible electrically to the grid.
18 Right? If your changing the use of energy over
19 time, but you can't get electricity back to the
20 grid, that was how we chose to define it.

21 MR. COWAN: I guess I'm agreeing that
22 that's how this report is written. But if it's

1 intended to be useful to decision makers, it's
2 useful to say right up front that there are these
3 other techniques that we're not talking about in
4 this paper.

5 MR. SLOAN: On that point, as one of the
6 drafters, I think part of the discussion you're
7 raising, Rich, is more in the realm of the smart
8 grids, smart meters, and the customer interaction,
9 you know, their voluntary or involuntary price or
10 price-driven, you know, response to signals. And,
11 you know, I have no objection to inserting a
12 sentence or two that references these other
13 opportunities, but I would tie them to the
14 customer response as opposed to the technology or
15 the utilities behavior.

16 MR. COWAN: Paul can go next.

17 MR. CENTOLELLA: Paul Centolella. So, I
18 think there is an actually very large opportunity
19 out here that has to do with, you know, really
20 very inexpensive ways of enabling a whole set of
21 end-use devices to see and to be able to respond
22 to differences between current interval and

1 indicative forward interval price signals. It
2 includes not just water heaters and pre-cooling
3 buildings, though those are important aspects, you
4 know, it includes basically a lot of thermal
5 loads. It includes a lot of loads that have
6 flexibility in terms of when they draw power:
7 Pumping loads, charging loads, a number of other
8 energy services that from a customer perspective,
9 the customer is really indifferent about when the
10 power draw occurs. And each of these, you know,
11 is really a matter of optimizing when the draw
12 occurs on the power system. It is, in effect, a
13 kind of storage in the sense that you are shifting
14 when the electricity demand occurs rather than
15 simply reducing demand on peak.

16 And there is, I think, a real
17 opportunity to both do this kind of demand
18 optimization relatively soon and lot of interest
19 on the part of device manufacturers. And frankly,
20 if we do it, changes the consumer engagement
21 equation, you know, in significant ways. And it's
22 something that, you know, I don't know that you

1 can get into it at this point in this report. But
2 at a minimum, I think, you need to call this out
3 as something that, you know, is an area of further
4 work that, you know, should be undertaken and is,
5 you know, is at least on the boundary between
6 storage and engaging devices and homes and
7 businesses.

8 MR. MASIELLO: What if we were to do
9 this -- because, you know, no one disagrees with
10 what you're saying, I don't think. But it isn't
11 part of DOE's storage program. It's somewhere
12 else, right? And it could be for the EAC. It's
13 more smart for it than storage. But what might be
14 really valid is where we recommend that more
15 detailed analysis when we do these high RPS
16 integrations scenarios, et cetera. And we say
17 include storage, right? We ought to say and
18 demand response and time-shifting attributes of
19 demand response. You know, some of those
20 applications aren't time-shifting, they are just
21 used less, right? What matters is if the
22 application has a payback because of thermal mass.

1 Right?

2 MR. CENTOLELLA: Yeah, so I guess I've
3 tried in some of the things I've written recently
4 to sort of distinguish between demand response,
5 the way we've conventionally thought of it, which
6 is largely let's just reduce demand on peak, and
7 demand optimization, which is really let's give
8 the right signals to end-use devices so that they
9 can decide when it's most efficient for them to be
10 operating. Because I don't want to confuse people
11 by just saying demand response as we've come to
12 think of that as, okay, we're just going to cut
13 peak load, which is a different item.

14 MR. COWAN: So, I guess the question on
15 this point is recognizing that it's not the focus
16 of this report. Can we include a sentence at the
17 beginning where we note that thermal storage and
18 demand optimization are techniques that allow us
19 to deal with the problems that are mentioned in
20 the beginning, which is the variability of
21 renewable resources and what have you?

22 MR. MASIELLO: It adds some of the same

1 --

2 MR. COWAN: Just a sentence that says
3 that and then drops a footnote that says that's
4 not the subject of this report would satisfy the
5 concern that I'm raising anyway.

6 MR. SHELTON: Chris Shelton, AES Energy
7 Storage. I haven't had the opportunity to work on
8 this report. I'm new, this is my first meeting.
9 I just want to -- one way I think to think about
10 this debate that's been going on is that it's very
11 much focused on an application or meeting the need
12 of, you know, shaping the load, which is a primary
13 activity that we think of as the grid-to-grid
14 storage performing. It's one of the main
15 activities, but it's not the only one. So, I just
16 want to make sure that as we make this
17 clarification we don't substitute some of the
18 other activities mentioned for all of the services
19 that grid-to-grid storage, for instance a pumped
20 hydro facility, could provide. Right? They're
21 not equal in their capability set.

22 MR. MASIELLO: You know, at the risk of

1 provoking more discussion, the most controversial
2 stuff in the report didn't draw any comments,
3 except one from Susan, and that's the discussion
4 that leads to the recommendation here where it
5 says research into incentive and risk mitigation
6 because the group identified technology risk as
7 one of the biggest obstacles, meaning people are
8 worried about will it not last long enough. Will
9 it not work as advertised? Right.

10 And tax incentives and rebates reduce
11 the costs but they don't do a thing for the risk.
12 So, Tom drafted some material on it and serious
13 back and forth on this that led to, on page 56,
14 the discussion of alternative risk mitigations
15 strategies to be looked at, some of which come
16 from other domains that are kind of novel to the
17 energy, electric power sector one way or another.

18 And there hasn't been any discussion
19 about it. Susan pushed back and said, oh, you
20 can't say we should just up viability standards
21 across the board. And so, fine, we'll take that
22 one out judiciously. But the others' different

1 financial products, et cetera, are there as things
2 to be explored. You know, knowing the controversy
3 we had internally about this, I just thought make
4 sure everybody sees it. Speak now or --

5 MR. VAN WELIE: So guess who was on the
6 other side of this conversation? I'm fine with
7 the way it's written. I don't have a problem with
8 doing the research and thinking about this
9 problem. My issue was something different.

10 MR. MASIELLO: No, I understand that. I
11 was just seeing if you could add to the
12 discussion. We spent a lot of time on that. No
13 comments? Okay.

14 MR. SLOAN: Tom Sloan. If the
15 discussions are finished, I'd move that we
16 recommend with the changes that are noted on the
17 screens and were in our discussion.

18 MR. COWAN: Is there a second?

19 MR. GELLINGS: Second.

20 MR. COWAN: All right. You have that?
21 Second by Billy Ball.

22 MR. BALL: No.

1 MR. COWAN: Oh, it wasn't you? Oh
2 sorry, Clark, sorry.

3 MR. GELLINGS: I'm glad (inaudible).
4 (Laughter) Any further discussion?

5 MR. CENTOLELLA: I guess I would like to
6 see a revised draft that integrates all of this
7 before saying that we're together on this. I
8 think the discussion has included, well, A, you've
9 put up a number of changes that you plan to make
10 and we've had some substantive discussion.

11 MR. MASIELLO: Right.

12 MR. CENTOLELLA: And so, I'm not quite
13 sure we're in the same place we were as some of
14 the other reports.

15 MS. KELLY: Can I say something? I just
16 want to remind everyone from what I heard of the
17 procedural discussion this morning that if we do
18 that, we have to put it in a Federal Register, we
19 have to notice it, we have to go through all that,
20 and this report is due by statute at the end of
21 the year. So, I just point that out.

22 MR. COWAN: Any other input on Paul's

1 request? I think we should deal with the -- it
2 seems to me procedurally, in terms of voting on
3 accepting the report that we have the two options:
4 One is to, in essence, approve the report with a
5 concise list of bulleted changes that will be made
6 to it and that we understand. Option one. Option
7 two is recommend that the report be amended and
8 resubmitted, however, whatever the process is
9 required to do that. And there are two ways to
10 deal with that procedurally: One is to basically
11 take Paul's observation as an amendment, vote on
12 the amendment, see whether we want to do that and
13 then vote on the report; or simply to take Paul's
14 recommendations as a recommendation to vote no.
15 Lauren?

16 MS. AZAR: I'm trying to negotiate right
17 now option three, which is Paul come up with some
18 recommended changes over the lunch hour and bring
19 them back to the group so that we have something
20 by the end of the day.

21 MR. COWART: Okay.

22 MR. ROBERTS: That was going to be my

1 comment as well.

2 MR. COWAN: Is there any prospect?

3 MR. CENTOLELLA: I'm perfectly willing
4 to try to work with Ralph over the lunch hour. I
5 will be optimistic and say we can try to do
6 something.

7 MR. COWAN: And in which case this
8 decision can be deferred until after we see
9 whether or not that accommodation can be reached.

10 MR. MASIELLO: You know, out of
11 curiosity how many people were able to read the
12 entire thing carefully? Half? I don't know how
13 that factors into the process.

14 MR. COWAN: I'm not sure that it does
15 actually. I think a member has raised concerns
16 and we need to address them.

17 MR. MASIELLO: Oh, yeah.

18 MR. COWAN: And we address them by
19 amending the report or we vote.

20 MR. MASIELLO: I think the reason I said
21 that is there is too much material there to
22 discuss the entire thing page by page, you know

1 what I mean? And a substantial number of people
2 have not had time to read it carefully, we might
3 want to reflect on that. You know, we'd like to
4 see it finally submitted with a unanimous approval
5 and, you know, I don't feel comfortable asking
6 people who have not read it to give us that. And
7 I'm not complaining because it was only out two
8 weeks ago, but there it is, right.

9 MR. COWAN: Let me suggest that we defer
10 the pending vote until after there has been an
11 opportunity to see whether we can come up with a
12 unanimous recommendation. I think that will work.
13 Yes, Gordon?

14 MR. VAN WELIE: And if anyone else has a
15 concern they should be speaking to Ralph over
16 lunch as well.

17 MR. COWAN: We're going to have a
18 drafting session over lunch and just to make sure
19 that if we're going to adopt a report with a
20 unanimous recommendation that everybody's had an
21 opportunity to either see the bullets and know
22 that a change will be made or to suggest precise

1 language, which makes sense to me.

2 SPEAKER: (inaudible) is available for a
3 meeting.

4 MR. COWAN: That's a good idea, we will
5 do the drafting session in the California Room. I
6 think there's a reasonable prospect of success
7 today, but, we'll see.

8 Any other comments on this issue right
9 now? All right, the vote is pending and we'll
10 deal with it after lunch. Thanks very much,
11 Ralph. Thanks for the work. Commissioner
12 LaFleur, as usual, we're happy to have you with us
13 and we're also happy to hear your report.

14 MS. LAFLEUR: Well, I'm happy to be
15 here. Very interesting discussion this morning.
16 Usually I say, well, I know we're behind, so I'll
17 try to let you make up some time, but I don't know
18 if I should say I'll try to fill some time. When
19 I saw the agenda and it said Special Topics, all I
20 could think of was the old church lady on Saturday
21 Night Live, "Isn't that special?" FERC is
22 working. What I thought I would do is try to just

1 cover a few things that are in progress at the
2 Commission and, hopefully, that will spur some
3 discussion, and obviously I'm happy to, as always,
4 take questions, whether they relate to what I talk
5 about or not, if they relate to what we're doing.

6 First, I wanted to mention, I guess you
7 had Joe McClelland here yesterday, but then you're
8 probably all caught up on this, but we did
9 announce last month the chairman has set up a new
10 office at the Commission, the Office of Energy
11 Infrastructure Security. As I understand it, it's
12 like a focus center of excellence to work on some
13 of the emerging issues. I've drawn the analogy
14 it's a little bit like, for those of you who are
15 close to the Commission and know we have an Office
16 of Energy Policy Innovation, and then we have the
17 rate and whatever it stands for, OEMR, Energy
18 Market Regulation, that cranks all the orders.
19 This is to be like a think tank like that for
20 reliability, and I appreciate you all inviting
21 Joe, and I think that's a resource for future
22 meetings on some of these topics.

1 I wanted to start by just going through
2 several cases that are on the Sunshine Act agenda
3 for Thursday. Some of you probably, actually,
4 look at the Sunshine Act agenda when it comes out.
5 I'm sure many of you do not. You're too busy in
6 your own day jobs. I'm hoping I won't jinx these
7 cases by mentioning them because those of you who
8 are close observers know sometimes things do drop
9 off the agenda. Sometimes before we put it out,
10 as you see those omitted, which is one of my pet
11 peeves, why don't we just renumber them? But I've
12 been unable to make that process improvement, but
13 sometimes they drop off between when they're

14 announced and the agenda. But we do have a
15 couple, I think, significant -- first starting
16 with reliability, a couple significant reliability
17 items noticed on the Sunshine Act agenda. We
18 propose to take up the Vegetation Management
19 Standard that was, I think, a four-year drafting
20 effort by the industry, and one of the first, if
21 not the first, results-based standards that NERC
22 and the industry have put forth, which is kind of

1 a concrete results-based test rather than all the
2 standards of the leading indicators that go into
3 that result, if I understand what a results-based
4 standard is, if I said that right. That is on the
5 agenda, and of course, in my mind that exemplifies
6 kind of the blocking and tackling part of
7 reliability. Nothing is more basic than trimming
8 trees.

9 Also on the agenda, and has gotten a
10 little bit more buzz, is taking up next steps of
11 geomagnetic disturbances following on our
12 technical conference of April 30. We've been
13 trying to distill the comments we got before, at,
14 and after the conference and figure out what to do
15 next. I won't steal our thunder for Thursday to
16 the extent there is any, but I've been, certainly,
17 a strong advocate, myself, of cutting through the
18 technical debates about geomagnetic disturbances.
19 I know I've talked about it, I think, at this
20 meeting before. There are debates about in what
21 way solar storms might have an impact on the bulk
22 electric system, whether it would be through

1 reactive power breaking up the grid, or whether it
2 would be, if I understand my electricity right,
3 inductive power damaging high-voltage transformers
4 or some combination of the two. I've been a
5 strong advocate of figuring out what the no-regret
6 strategies are and getting started on them.

7 I just want to acknowledge that anything
8 we do in this area, perhaps even more than all the
9 other reliability standards or than some of them,
10 is by its very nature quite complex because the
11 grid is a complicated thing, different in
12 different places, different geographies, and so
13 forth. But as I've said before and I'll say
14 again, I think the fact that it's going to take a
15 long, long time to tackle this is not an excuse to
16 put off starting. Rather, it's a reason to start
17 starting, so we can start thinking about it. So,
18 that's there for Thursday.

19 And, hopefully, also on Thursday, we
20 have the re-hearing of Order 1000-A. I guess this
21 is my first multiple-letter notice, a rule I will
22 have worked on, but the issues that were teed up,

1 and this is -- so we did 1000 last July, then the
2 re-hearing within the last few months sometime.
3 The issues that are teed up relate to Section 217
4 before the Federal Power Act. The special
5 protections for load-serving entities, there was a
6 concern that we muddled that in 1000-A. A number
7 of folks came in and filed asking for
8 clarification, and also some applications,
9 primarily from Southeast Power Pool Region and
10 MISO on the local definition and the local
11 exception to the ROVER and how it overlapped and
12 cost allocation. That's pending. I realize that
13 we also have Compliance already coming in as I'll
14 come onto in a minute, but nonetheless, that's on
15 the agenda.

16 And also on the agenda is the Southwest
17 Power Pool Day 2 Energy -- Day 2, I don't know why
18 I said that -- day ahead in real time energy
19 market that they propose, I believe, to start in
20 early- ish 2014. That's a significant addition to
21 the market community that they're in the process
22 of undertaking.

1 I want to talk a little bit on the
2 agenda. That for this meeting, it said filings in
3 or filings complete or something like that on a --
4 regional planning filings complete major
5 milestones on Order 1000. They're not actually
6 complete, but we've passed some major milestones.
7 I, hopefully, this isn't too geeky to be of
8 interest, but since I didn't know this, I'm sure
9 most of you don't know what's in and what's not
10 in.

11 We did get about 12 filings in last
12 week. All the Western parties: West Connect,
13 Northern Tier, Columbia Grid, and the California
14 ISO filed. In the East: Florida; North Carolina
15 Transmission Planning Collaborative, South
16 Carolina; Maine Public Service, that little
17 northern piece of Maine that's not in ISO New
18 England; New York ISO. And PGM filed its cost
19 allocation portion only; and in central, MAP, I
20 believe that stands for Mid-American; and some of
21 the MISO individual entities filed. So, those are
22 in, and I believe -- I don't think I'm talking out

1 of school. I think we noticed them for comment,
2 or we'll get comment, anyway. We're anticipating
3 that folks will come in and comment on ones that
4 come in.

5 Next week, a big week, we'll be hearing
6 from ISO New England, MISO itself, and PJM, the
7 non-cost allocation piece. And then in two weeks,
8 SPP. And then coming on early next year, MANAL.
9 I think that's Manitoba, Alberta. And the whole
10 Southeastern conglomeration of Southern --
11 Louisville Gas and Electric and other -- some of
12 the municipals that are planning with them, and
13 East Kentucky are all early next year, and then
14 they will be complete.

15 We've doing a banner business in meeting
16 with people who want to have pre-filing meetings
17 before they file. Those have been enormously
18 helpful and for those who may not have filed yet
19 or may not have had a pre-filing meeting yet that
20 might be filing in the future, I do urge you to,
21 yourself or whoever does FERC for you, to take the
22 time to do that. We've also had meetings with

1 others who were involved in the process, letting
2 us know some early issues that they see. I have
3 not looked at any of the filings that came in, so
4 my summary I'm about to give of some of the issues
5 I think we'll be confronting are based on
6 pre-filing meetings and comments I've heard from
7 people before.

8 But I think on the planning side, I
9 think the public policy requirements and
10 particularly the role of the state's various of
11 the groups have come in with proposals of how to
12 use their state parties or how states can do
13 things together, particularly to identify
14 transmission needs driven by state public policy
15 requirements. And I think that's going to be
16 where a lot of the action is on compliance,
17 because we have some different nuances of filing
18 from the different regions, and then others
19 disagreeing with that way of doing it, which is
20 why we get to be popular and make nobody happy
21 because people always disagree, but that's what
22 you would expect on something important.

1 An issue that was teed up here earlier
2 this morning -- I call it non-transmission
3 alternatives, but apparently it has a new name,
4 non-wire solutions, but that, I think, is very
5 much in play in some of the regions. It wasn't
6 particularly changed in my mind in Order 1000 from
7 Order 890, but I think the stakes were heightened
8 in some ways, so that looking back at what we do
9 in Order 890 and how it works is on the docket.
10 I've said before, in speeches before seeing any of
11 the filings that come in, I do not, at least in my
12 own mind, see Order 1000 as a federal integrated
13 resource management where we cost allocate and
14 plan everything and take it away from the states.
15 First of all, I have scarring, searing experiences
16 with integrated resource management already, but
17 secondly, I think a lot of these issues,
18 especially the non-transmission alternatives, have
19 huge state aspects. But be that as it may, I
20 think a lot of that's going to be teed up in the
21 filings on these state versus federal policy.

22 The other big gestalt is changes to the

1 right of first refusal. There's some legal issues
2 teed up acutely in New England and/or they've been
3 very much on it. I think New England wins the
4 prize for most pre-filing meetings. We heard from
5 seven different sets of parties on the New England
6 discussions, and I first thought it might be just
7 me, like they're lavishing special attention on
8 me. But no, they've been around the floor, so.
9 (Laughter) But some of the legal issues are, in
10 varying ways, raised in other regions as well.
11 But then there are, I'll call them practical
12 issues raised of to the extent there's not a legal
13 issue with changing the right of first refusal,
14 how long does it take to change? How far ahead?
15 How long will it take to bid out projects and so
16 forth? That's being teed up in a lot of the
17 filings, and they've made various proposals for
18 phase-ins, none of which are high church Order
19 1000, and they'll be a lot of action, I think, in
20 interpreting it as we move forward.

21 And then, I guess, I sometimes think the
22 word "policy" is overused, but there are still

1 policy issues with the right of first refusal and
2 how it relates to reliability. I had given a lot
3 of thought to that when we voted out the initial
4 rule in the reliability backstop, ways to assure
5 that we didn't undercut local reliability needs
6 and obligations to serve in imposing a regional
7 process. It strongly appears that we might not
8 have pleased people because those still continue
9 to come up and come up and come up, and I think
10 we'll be dealing with those on compliance.

11 So, those are the big issues that I see,
12 really, unless there might be surprises when we
13 read and get reports on what came in, but those
14 are the issues that have been teed up in the
15 discussions so far. And this will be new for me.
16 I guess I was around, obviously, when we did Order
17 745 in which I think we still have one
18 outstanding, but this is a -- I was not around on
19 the Commission when they did things like Order
20 88-A, so I think they'll be -- it's a body of work
21 for us in sequencing and how we can get them out
22 in a timely way so one informs the next and so

1 forth. And until they're all in, I don't think
2 that's even in prospect, but that's our next step.
3 It's all about kind of -- and there's a big kind
4 of macro issue of how much regional flexibility to
5 give and when flexibility actually undercuts the
6 principles versus this flexibility within the
7 principles.

8 So, that's what I was going to say on
9 that. I'm happy to take questions.

10 Just two other things that aren't on the
11 agenda but are very much on our work docket. Want
12 to just mention transmission incentives. I have
13 seared in my mind Sue Kelly's voice at NARUC
14 saying, I believe you said, I wake up every day
15 and think this may be the day when FERC takes
16 action. I can't -- that was like -- I can't say
17 that I wake up every day and think this might be
18 the day, but I do think of it every month when we
19 put out another agenda. (Laughter) But we are
20 voting out incentive cases and grappling with some
21 of the issues, and we do very much have next steps
22 on the Notice of Inquiry on our work list. We're

1 actively working on it.

2 Another thing actively on our work list,
3 although not on this month's agenda, is
4 gas/electric interdependency, which I think I also
5 talked about at this forum. We did have our five
6 regional technical conferences in August. I went
7 to three, listened to one, led the other. I
8 thought they went well. It seems like it's every
9 other thing FERC ever touches, and probably that
10 state commissions touch as well, a mix between
11 reactive and proactive. What are we going to wait
12 for people to file with us, and then respond, and
13 when do we see a trend? And so, we do something
14 proactively, and everyone says, oh, FERC, you're
15 crazy. So we back off a little. Then we do
16 something reactively, then we do something
17 proactively. I'm almost positive this one will
18 follow that same tried and true mechanism of
19 decision-making. So, in the reactive category,
20 our friends at ISO New England, we hear are
21 working on potential -- looking at cordon changes
22 to the electric day.

1 Just backing up, there's two big macro
2 categories of issues. One is operating issues,
3 communications, the gas and electric day, how they
4 align, how people communicate in emergencies and
5 so forth. And the second are more fundamental
6 pricing and market issues. The fact that the way
7 we decide to build gas pipelines in this country,
8 and how the financing lines up and how the
9 commitments line up with fully subscribed
10 long-term plans being aligned through an open
11 season is fundamentally different than the way
12 generation capacity is awarded in an organized
13 market, which is not 15 or 20 years ahead. It is
14 in real time and, at most, three years forward in
15 reliability payments, and those do not neatly
16 dovetail. And that was where a lot of the action
17 was at the technical conferences with the gas
18 people saying, no problem just make a firm
19 commitment, and you'll be fine. And the electric
20 people saying, no problem, just let us decide the
21 day before, and we'll be fine. And there's got to
22 be something between day before and 15 years here.

1 And definitely regional differences and
2 I got on this by saying New England, we hear, is
3 working on a potential supplemental procurement to
4 price fuel security into some of the capacity
5 through, in the first instance, a procurement of
6 fuel security that might pay more for -- what do
7 you call it? -- dual fuel capacity or having
8 secure fuel supply, but we'll wait and see what
9 comes in. We're looking forward to that as a test
10 of a way to look at the issue. We also continue
11 to get filings from gas pipelines of new flexible
12 nomination cycles and so forth. Those are coming
13 in quite frequently.

14 In terms of what we do ourselves
15 proactively, one issue we heard about at just
16 about every single -- I think every conference was
17 something, some concern about the standards of
18 conduct and enforcement and how it works on this.
19 It did not fall into the category of saying is
20 this paragraph 31-B? Fix that. It was just more
21 like can't you give us some clarity here? We're
22 worried about this. It's impacting

1 communications. So, we're figuring out whether to
2 do some kind of focused docket or focused effort
3 where we see if there's something we need to do,
4 let's figure out what it is so we can do it.

5 But if folks have more focus comments
6 for what they think they we need to do on the
7 standards of conduct, I would really welcome those
8 because we're working on trying to do, like, a
9 what's next after the tech conference because we
10 certainly don't want our -- even if we can't solve
11 all the problems in one fell swoop, we don't want
12 our regulations to make the problems worse. And
13 the standards of conduct was a potential place
14 where people thought the FERC regulations, which
15 of course are intended to make sure people can't
16 cheat in the markets if they have a market and a
17 non-market part of their operations, whether those
18 were carrying over to gas and electric operations
19 which is not what they're specifically intended to
20 be about. So, that's something we're working on.

21 I'm sure there's more I missed, but
22 that's what I was going to try to cover to sort of

1 tee up, and with that I will take questions or
2 listen to conversation. Thank you.

3 MR. COWART: Thank you very much. I
4 guess I should just ask comments, questions, and
5 we'll sort of start on this side and just work
6 down. Lauren? Phyllis, sorry.

7 MS. REHA: Yes, I just wanted to add
8 that at the NARUC, and Baltimore coming up in
9 November at the Collaborative, the Smart Response
10 Collaborative, the emerging issues part that I
11 co-chair with John Norris, we're going to be doing
12 a program on non- transmission alternatives,
13 non-wire solutions, whatever you want to call it.
14 And it should be a really good discussion.

15 MS. LAFLEUR: I think that's a great
16 topic. I will not be there because I finally
17 scored a Patriots ticket from my husband. My son
18 has to go see his girlfriend, so I'm third on the
19 list, so I finally scored a ticket, so I'll get
20 there Monday morning, but it sounds great.

21 MS. AZAR: With regards to the
22 gas/electric planning, was cyber security rolled

1 into the technical conference at all?

2 MS. LAFLEUR: Not in any significant
3 way. I think it was mentioned as an emerging
4 issue, but not -- it was more focused on are we
5 going to have enough gas. I mean, are we going to
6 have enough gas infrastructure. Obviously, cyber
7 security could affect are we going to have enough
8 gas, but not that I remember in those conferences.
9 But I'd welcome comments about how we should
10 tackle it and where. Just as a kind of editorial
11 comment, I mean, we tend to think of cyber
12 security very electric because that's where we
13 have the reliability jurisdiction over the
14 Critical Infrastructure Standards, but obviously
15 cyber security has nothing to do with the
16 electricity. It's something in the computer, and
17 it can affect other parts of the infrastructure
18 just as much.

19 MR. COWART: Chris?

20 MR. PETERS: Chris Peters, Entergy.
21 Thank you, Commissioner, for spending time with us
22 this morning. A question, and maybe you touched

1 on this earlier. The new office for cyber -- I
2 think it's under Joe -- is how do you foresee that
3 interacting with the industry and with the other
4 agencies in the Beltway?

5 MS. LAFLEUR: I think it was a part of
6 the specific remit -- oh, God, that's such an
7 English word. It, like, came out of my past. A
8 part of the specific charge of the group to work
9 with other agencies because we do get -- I mean,
10 not me, personally, but my understanding is the
11 folks that work on this in Reliability get, not
12 just a close working relationship with the
13 Department of Energy, but we get calls from
14 Homeland Security and the Department of Defense
15 and so forth, and that would be the place that
16 that coordination would happen. So, that was, I
17 think, specifically mentioned in the press release
18 that it would be a focus for coordination. We
19 don't know what the White House is going to do,
20 what Congress is going to do, but it seems
21 inevitable that if anyone does anything, it won't
22 give us unique authority that's unique to

1 ourselves and doesn't involve working with anyone
2 else.

3 I think it's quite apparent this is a --
4 cyber security, in particular, is a larger problem
5 than energy, and so there will be coordination
6 involved. In terms of coordination with the
7 industry, obviously, that's necessary. The
8 question is how will that happen? There is a set
9 up through NERC, obviously, with the industry, and
10 we don't want to reinvent the wheel, but that
11 doesn't relate to other parts of the
12 infrastructure. Recently folks from the old OER
13 -- I think it was before we set up OISE -- went
14 out to EEI. I wasn't there but they went to EEI
15 and gave a talk with some of the CEOs in the
16 Colorado meeting. So, I mean, there are other ad
17 hoc industry contacts, but whether we need some
18 kind of more structured thing, I don't know if
19 it's been thought about yet.

20 MR. PETERS: Let me ask one more
21 follow-along question, and it's more of a
22 compliance related. When I look at -- and I'm in

1 charge of CIP in my company, and I look at the top
2 ten most violated standards. Eight out of those
3 10 are NERC CIP. From your perspective and what
4 you've seen as FERC has looked at this, in your
5 opinion, where do you think the industry is
6 falling short? And why do you think you see
7 there's these challenges that are systemic across
8 the board from the CIP perspective?

9 MS. LAFLEUR: Well, I think the reason,
10 my own personal opinion, the CIP standards are so
11 frequently violated is because of the nature of
12 the standards are so paper-workey, and that's
13 because we can't make a standard to tell the
14 software what to do. We have actual standards,
15 like here's how you set a relay. Here's how you
16 trim a tree. That's very concrete. It's
17 something we've worked on as an industry, as a
18 group, for decades. But how you do a standard for
19 how you keep a technology network safe is a
20 different thing, and so the CIP standards have had
21 to go in a different direction. And I think
22 that's related to why there have been a lot of

1 compliance issues.

2 But where I think we've fallen short,
3 and I wouldn't hold up just industry by any means,
4 but falling short is a strong word, where I think
5 we have a challenge to do better is, in my mind,
6 this is like a fundamentally different type of
7 problem, cyber security, than the electrical
8 security where it's more of an electrical
9 engineering operating issue. As I said, maybe it
10 took four years to debate what a minimum
11 vegetation clearing district distance is, but we
12 still know the concept of you keep the trees away
13 from the wires. This is much more not as well
14 understood, at least by the same people. It's a
15 whole different skill set. I mean, I wouldn't
16 know what's inside a computer, and when I get the
17 things the home saying do you want to update your
18 virus software, half the time I say, no, I'm too
19 busy today. I mean, that's not a choice. It's
20 just like later or whatever it says, not now.
21 (Laughter) And I'm setting standards for it.
22 (Laughter) And when I look at the people when I

1 go to the NERC meetings, for the most part,
2 they're the ones who know about relays and
3 transformers and trees.

4 So, I think this is just -- this
5 technology has come up so fast that, as a society,
6 we need to develop the expertise to deal with it.
7 So, I wouldn't demonize the industry or whatever.
8 I just think we all have an opportunity to step up
9 because it's a different thing than keeping the
10 lights on in the old fashioned way.

11 MR. COWART: I love your phraseology on
12 things like we all have an opportunity to step up.
13 It's such a positive way of saying it. Gordon?

14 MR. VAN WELIE: I guess Cheryl and to
15 Pat, I mean, for the Committee, I had raised the
16 gas/electric issue more than a year ago in this
17 forum. And so, if you're ever interested in me
18 giving an update on our current thinking, I'd be
19 happy to do that. We don't have to take the time
20 now, and if you've got nothing else to talk about,
21 we can talk about this. But I do have one
22 specific thing that I wanted to raise, which is of

1 all the issues that we've been looking at, and
2 there's sort of half a dozen different things that
3 we've got to go and do, there's one issue that
4 it's still not clear to me how we address it. And
5 I'm not sure we can get at it through our market
6 design. And I wonder about whether this is not
7 just one of those policy things that have to be
8 dealt with because these are low probability but
9 high-impact event like the magnetic disturbance
10 issue that you were talking about earlier on.

11 And the issue really is -- and this is
12 once again regional because I think it depends on
13 where you are in the system. So, what we have is
14 situation today where the electric system
15 engineers spend their life sort of worrying about
16 how do you cover the first contingency and the
17 second contingency and so forth, and we plan the
18 system out. We operate the system to respect all
19 of that, but the underlying assumption is that
20 every generator's got fuel on the system. And in
21 a world where we have essentially reduced the fuel
22 diversity on the system, which is where we're

1 rapidly heading in New England, where we will
2 basically just be nuclear and gas plus a little
3 bit of renewal NDR on the fringes, we become very
4 reliant on a just-in-time fuel system. And in

5 particular in New England, we are radial, so it's
6 not like we're sitting at the most interconnected
7 spot on the gas pipeline system. So, if you're
8 sitting in Texas, and you're right on top of the
9 Gulf, and you sort of look at a map -- I saw Barry
10 Smitherman at a conference last week sort of threw
11 up a slide and if you see how much pipeline is in
12 Texas, I'm convinced they have high reliability
13 because they've lost diversity there. When I look
14 at the map of New England, I see four pipes coming
15 into New England, and we're heading towards
16 everything being dependent on the gas system.

17 And so yet, to me, is the policy
18 question which is how do we deal with this issue
19 of a very infrequent occurrence, but never the
20 less possible, where a very large pipe goes up for
21 whatever reason, and we suddenly lose 5 in New
22 England, 6,000 megawatts of generation on the one

1 pipe? There's no way we can survive that, and I'm
2 pretty sure if we go down we're pulling the rest
3 of the Eastern interconnection down with us. So,
4 how do you -- sort of in the world we've come
5 from, we're able to survive that because we had
6 diversity, and not only diversity but local fuel
7 storage, so you had different technologies burning
8 different fuels and each generator had some local
9 fuel storage that they could live through that
10 situation. Now we're putting all our eggs in one
11 basket. At least I feel like we're doing that in
12 New England because that's the way we're heading,
13 and I don't know how to solve that problem yet.

14 So, I think I can deal with most
15 everything, and we can talk about some of the
16 ideas that we have, but that's an issue that is an
17 open question in my mind. And I don't know how
18 you get at that through anything other than some
19 kind of regulatory fiat that says you have to go
20 and do the following.

21 MS. LAFLEUR: Well, I think you're very
22 right to raise it because I think at the tech

1 conferences and in the discussion, different
2 issues are getting conflated, and so when people
3 talk about the reliability of the pipeline
4 network, a lot of times what they were really
5 talking about was will there be enough pipelines
6 because do they have the signals to build them and
7 all and so forth, which is one -- that's more the
8 market pricing issue that I raised. You're now
9 raising almost more like a reliability issue.
10 What if there are pipelines and a pipeline is
11 lost, like, God forbid, an explosion or something?
12 And then what's the -- and that almost is more
13 like an emergency planning which is a different
14 thing than the -- and I think we have to make sure
15 we are looking at different dimensions of the
16 issue. Most of the high-impact, low-frequency
17 issues are dealt with through building in
18 mitigation in the system ahead of the time to the
19 extent you can, and then having emergency plans
20 for what you would do.

21 And, I mean, someone was telling me that
22 way back when something happened in New England,

1 they got, like, a Jones Act exemption to have LNG
2 delivered on a U.S. ship. It was something in the
3 '70s or something, and I'm thinking back to the
4 Arab oil embargo, which I'm happy to say I wasn't
5 a utility executive yet in 1972. Not that old,
6 but it was in the relatively recent rearview
7 mirror when I got into the industry, and all kinds
8 of things were done in an emergency way when
9 something happened. That hasn't been in our
10 planning toolkit, but you're right to raise it to

11 think it's a planning -- in my mind, it's partly a
12 planning thing of what you do if you lost a
13 pipeline. And I don't think we've answered it,
14 but you're right to raise it. It's different than
15 the other issue. They have different solutions.

16 MR. VAN WELIE: One of these sort of
17 broader security issues, I mean, it strikes me --
18 I drive by some of the pipelines and the pumping
19 stations and so forth. They don't seem to me to
20 be the most highly protected installations in the
21 world. And so, you just think about the
22 vulnerability we're creating here where a single

1 pipe can take on that amount of generation, and
2 that does worry me.

3 MS. HOFFMAN: So, my thoughts on this.
4 I mean, we're going to have to do several things,
5 and one starts out with evaluating the flexibility
6 within the pipes themselves. Granted, not all of
7 them are in the right locations with the lime
8 packing or, basically, the extra capacity that are
9 in the pipe is one thing to look at in
10 relationship to the electric system. Then, from a
11 resiliency point of view, what does happen if you
12 lose part of a pipeline? There's segments and
13 closures on pipelines, but you still lose the
14 availability to the fuel, and so, what is the
15 impact to your system? But from a diversity point
16 of view, we have to recognize, first, the value of
17 diversity of assets, and that is something that
18 the regions really have to consider from a
19 generation point of view.

20 MR. HEYECK: Commissioner, I've seen you
21 in several venues and thank you for attending to
22 give us updates on what's going on at the FERC,

1 and I appreciate your service to FERC. On the
2 Transmission Subcommittee there are -- when Joe
3 McClelland got his appointment, I sent him a note
4 suggesting that he come to this Committee because
5 I do believe we're going to trend into resiliency
6 next year as a Transmission Subcommittee. So,
7 he's certainly welcome to follow that activity.

8 The second is on our subcommittee, I
9 didn't mention in our report that we're going to
10 try to get on the agenda to do a follow-up as to
11 how the grid operators are doing with respect to
12 retirements, and then the outages for retrofits.
13 Are there any issues? Is transmission going to be
14 delayed and things like that? And certainly your
15 attendance is appreciated, but I thought Joe
16 McClelland would be a good addition.

17 MS. LAFLEUR: I agree that he'd be a
18 very good addition, and I didn't mention when I
19 did my little hot topics, we do have in prospect,
20 still, the potential reliability issues coming on
21 from the new environmental regulations. We have
22 not, to my knowledge, gotten applications to look

1 at any fifth years yet, but if I remember
2 correctly, the way the timing works there'll be
3 like none and then they'll all come in.

4 And we do have at NARUC on, I think it's
5 Tuesday morning, we have our forum on this, and

6 we're going to look at -- the first part is going
7 to be looking at mapped implementation. Some
8 people who are actually doing it -- someone is
9 coming up from Southern, and some other folks, and
10 looking at kind of -- and Gina was kind enough to
11 say she would come from the EPA, kind of how --
12 because the whole retrofit planning and how long
13 it takes and so forth is now better understood
14 than when we started at this a year ago. And so,
15 we're going to be looking at that, and then have
16 an update for state regulators and other NARUC
17 attendees on other environmental issues that might
18 have reliability implications, what should be on
19 their radar screen. I mean, it's a week after the
20 election, and that's what it is. I don't schedule
21 the NARUC meetings or the elections -- (Laughter)
22 -- but that's what we're planning to do.

1 MS. KELLY: Way back in a prior life, I
2 spent 15 years doing natural gas regulatory work
3 before the FERC representing local distribution
4 companies, and they care truly, madly, and deeply
5 that they don't lose natural gas service during
6 peak periods. If that goes out, it's not just a
7 matter of turning the system back on or back
8 start, it's relighting every pilot. So, I think
9 one of the issues, and there's a number of state
10 regulators and recovering state regulators in this
11 group who deal with that issue at the city gate on
12 the gas side. Who gets the gas when push comes to
13 shove? And then, there's the federal aspect to
14 that in terms of interstate pipeline curtailments
15 when you lose 60 percent of the capacity of the
16 pipeline. Who gets it and who doesn't?

17 But that's a really hairy issue because
18 if we're saying, well, we must have the gas
19 because we're burning electric generation, and we
20 are vital to our nation's economy and the lights
21 must stay on, and our gas brothers are going to
22 say, yeah, people freeze. So, that is, I think,

1 something we haven't fully come to grips with.
2 I've actually suggested that we at APPA might be
3 having a dialogue with our friends at APGA to talk
4 about that because some of our members are
5 actually common members, being gas/electric
6 systems. But we have to come to grips with this
7 and figure out if there's not enough to go around,
8 what are the protocols on how we deal with it, and
9 I just point out that this group may be able to
10 contribute to that in some ways just because of
11 who we have.

12 MS. LAFLEUR: Thank you. And the AGA,
13 which I know is more than just the local
14 distribution companies, but has a lot of local
15 distribution companies has also been a very active
16 commenter and speaker on this issue. And making
17 sure that when we say "reliability" -- I mean, the
18 problem is when people say "gas/electric
19 interdependency," sometimes once they start
20 talking what they're really saying is electric
21 dependency on gas, and they're not really thinking
22 about the "inter" part. But the AGA has been very

1 forthright in saying reliability is a two-way
2 street, and we have reliability needs also, and
3 make sure we're at the table. So, it's not just a
4 conversation between the pipelines and the
5 generators, and that's an important voice. I
6 also, I don't remember, it was in some kind of
7 storm, lost a gas network, and it is a beast to
8 get them back. Yes.

9 MR. CURRY: A quick footnote. Someone
10 told me in the last day or so that 80 percent of
11 the members of the Gas and Electric Institute are
12 also members of the AGA. So, it's possible to
13 reach out still further through that link if
14 that's appropriate.

15 Gordon, I hope you're satisfied.
16 Everything's been taken care of.

17 MR. BROWN: Merwin Brown. There's
18 another item relating to the interaction of
19 natural gas and electricity that, at the moment,
20 as far as I know, is just a concern and it may
21 even be the urban myth equivalent for this
22 industry, but that is as these new, faster gas

1 turbines are coming onto the marketplace to follow
2 variable generation, the renewables, that that may
3 pass on now through to be a problem with pressure
4 maintenance on the natural gas system, and,
5 therefore, lead to flameouts of combustion
6 turbines, et cetera. And it may have other
7 downstream impacts with it, I suppose, such as
8 pilot light flameouts. I don't know, but I
9 thought I'd get that on the record, anyway.

10 MR. COWART: Any other comments or
11 discussion? Is that you, Barry? I'm in the
12 office (inaudible) earlier.

13 All right. Thank you very much. And
14 we're ahead of schedule, delightfully. And I've
15 asked Wanda if she would be prepared to take an
16 item from this afternoon's agenda and move it
17 forward so that it'll make things easier this
18 afternoon. And it turns out that the workforce
19 discussion can be moved forward, so we'll just go
20 ahead with that.

21 Meanwhile, Paul, are you crafting
22 language?

1 MR. CENTOLELLA: Not yet.

2 MR. COWART: Okay.

3 (Discussion off the record.)

4 MS. REDER: Okay, I'm going to address
5 the Workforce whitepaper, and just to give you
6 some background since some of you are new, the
7 first meeting this year we actually chose, as the
8 EAC, to create an ad hoc working group for
9 Workforce. The nature of this was really just to
10 get a white paper that documented the issues and
11 pull in experts, both from the EAC and outside of
12 the EAC. There was quite a bit of debate on
13 should DOE OEB, interested in this and, if so,
14 why? And we really boiled it down to to the
15 extent that the workforce is critical to providing
16 reliable energy critical to innovation, critical
17 to achieving the vision of the national future
18 grid, absolutely, there's an interest in. So,
19 that was really the premise of why we took this
20 on. I do want to acknowledge and thank all of
21 those that pitched in here. There were a few from
22 the EAC, but there many, as you can see, who

1 participated outside of this group in order to
2 bring this paper to fruition. So, thank you.
3 Some of you are in the room, and I appreciate your
4 contributions.

5 The paper actually creates a pretty good
6 background in terms of the situation that we have
7 at hand. I think we're pretty familiar that the
8 workforce requirements are changing. In fact,
9 Cheryl actually suggested, in the last discussion,
10 the competencies are evolving, so this theme
11 continues to perpetuate and, of course, also there
12 is a pretty good recognition that the attrition
13 rate is significant in the forefront. In the last
14 few Center for Energy Workforce Development
15 surveys, up until 2010, the survey's done on an
16 annual basis, it was approximately 50 percent
17 attriting in the next 5 years. The 2011 survey
18 adjusted that some, based on the economic
19 challenges, suggesting that there are roughly 10
20 percent that are currently in position that aren't
21 retiring because of depressed 401(k)s and such.
22 So, actually, the ones we thought would be

1 retiring aren't right now, but in some ways that
2 can compound a complex problem where more can
3 leave at the same time if conditions exist and
4 incent that behavior. So, really, this is a
5 complex and kind of a combination of a lot of
6 factors coming to fruition. Many people with a
7 lot of expertise potentially leaving and, of
8 course, the competencies changing at the same
9 time. Behind that, educational infrastructure
10 isn't necessarily there to the extent that we need
11 it to be.

12 So, all of these factors kind of boiled
13 into two sets of recommendations. We ended up
14 having a lot of discussion and a whole heap of
15 recommendations on the table, and finally stepped
16 back and said, you know, there's probably only so
17 much that DOE has the appetite or the capability
18 to do. So, we divided it into an easier set that
19 was completely within OE and DOE's purview, and
20 then the second set is more challenging, either in
21 terms of time or reaching across various
22 organizations.

1 So, on this easier set, there was \$100
2 million for Smart Grid education funding that was
3 steered towards 54 different projects. That was
4 released at the end of 2010. Those were three-
5 year projects rather than five, so those are all
6 concluding, more or less now. And so, the first
7 piece, the first recommendation at the top of the
8 heap -- and by the way, these are listed in what
9 we think's priority order -- is to identify and
10 figure out what can be scaled out of that effort,
11 and try and collect that and disseminate it so we
12 can scale it as much as possible and leverage that
13 investment. And since those projects are coming
14 to conclusion soon, time is of the essence.

15 The next piece is to look at the rest of
16 the ARRA funded Smart Grid investment projects and
17 ask the question, what kind of competency
18 challenges, what kind of workforce implications
19 are we running into here? Oftentimes with new
20 technology, there's implication on process
21 improvements, skill set changes, and to the extent
22 that we can be capturing that along the way,

1 that's really good fodder to build into
2 incremental education and competency planning
3 going forward. So, it's kind of a situation where
4 we have an opportunity to ask the question and
5 simply collect the information and use it going
6 forward.

7 The next piece suggests that as we look
8 at the technology portfolio going forward, we ask
9 a couple questions. One is as new technology is
10 coming out, what are the skill set implications?
11 Chances are there's new kind of background and
12 skills and education that that requires. And the
13 other piece is perhaps there's a situation where
14 we want to take on technology investment to
15 actually improve the situation for the workforce,
16 whether it's safety or productivity. We used to
17 kind of bring knowledge into the day-to- day work
18 environment so you don't have to be training
19 A-to-Z, so there's kind of a combination in that
20 recommendation for both directions.

21 The fourth recommendation here is one
22 where we recognize there's a lot of good bits and

1 pieces, a lot of best practices out there, and
2 it's really been tricky to try and figure out who
3 is doing what and disseminate that and scale it.
4 And recognizing that it takes a lot of resource in
5 order to get that done, an idea bubbled up to
6 actually have a prize and acknowledge best-worker
7 training and education programs at state and city
8 levels. That's a way to collect the information
9 relatively easily and then use that to disseminate
10 and scale good ideas.

11 And this last one on the easier list,
12 there was a lot of discussion on how do we
13 communicate between industry and at the state
14 level what the situation is. We really don't have
15 good metrics or ways to have the discussion, and
16 this, ultimately, morphed into account kind of a
17 conclusion here on the easier side that we need to
18 review the current state of benchmarking and
19 metrics on Workforce needs. That's a beginning
20 point. It's just to assess where we are as an
21 industry and try and find out if there's best
22 practices or ways that folks are having this

1 communication in a productive fashion. And that
2 actually ends up feeding the more challenging
3 conversation here on facilitating regulator and
4 industry dialogue along these metrics front in
5 order to advance that into something that's more
6 tangible. The others are largely spanning across
7 different organizations, increasing the National
8 Science Foundation and the OE coordination, if you
9 will. And not only those two, but then there's a
10 lot of other multi-agency coordination that can
11 and should be done: Department of Labor,
12 Department of Education, and others. And in the
13 paper, a host of specific suggestions.

14 The next one, we went back and forth in
15 putting this in, but recognize that it was
16 important though it takes quite a bit of work, and
17 that is to look at scenario planning on what-if
18 analysis. So, what's the difference on workforce
19 needs if we're a highly centralized generation in
20 a kind of a traditional approach going forward
21 versus let's go completely the other direction
22 where it's highly distributed, highly green, and

1 just the ramifications on what types of skills,
2 how many people, where, the education
3 ramifications? Certainly, there's a big
4 difference in workforce outcome as you think about
5 possible scenarios. We also recognize that it
6 would take quite a bit of time and roll up your
7 sleeves to get to this, but we think from an
8 industry perspective it's important. So, the
9 challenge is getting this thing done in a timed
10 window that is meaningful because a lot of times
11 you can drag these studies out and by the time
12 they conclude, it's no longer relevant. So, that
13 was some of the discussion there.

14 This next piece is identifying best
15 practices to accelerate, transition into the
16 workforce, recognizing there's veterans and
17 engineers from other disciplines that if they had
18 some education and where with all to get
19 acclimated in the industry, it could really give
20 us a jump start. Next one is buying some time
21 retaining experienced workers. There's a host of
22 ideas in there on how to do that, as well. And

1 the last couple: Making sure that career
2 opportunities are very visible so we can attract
3 the best and brightest, recognizing this is a
4 critical component, especially in recognition of
5 the attrition challenges. And the last one is an
6 educational roadmap that aligns with industry
7 needs. Oftentimes we get kind of mapped toward
8 the R&D and it may not exactly align with the
9 hiring requirements going forward. So, those were
10 the comments.

11 I have received a couple things. One is
12 cyber security comments from Chris, and I
13 appreciate that. Great comment, so that was a
14 paragraph that can be added into the overview, and
15 I thought it really added a lot. Dave Nevius also
16 suggested that we could look at the current
17 programs in the United States and perhaps assess
18 where those are, and I have drafted a bullet that
19 would go into that section, too, suggesting that
20 DOE works with the IEEE Power and Energy Society
21 and goes through our annual survey data to
22 understand the trends, the curriculum, faculty

1 demographics, and just the number of students that
2 are going through to monitor trends and where we
3 are.

4 With that, I'd be glad to -- I'm looking
5 forward to your comments. Obviously, the Ad Hoc
6 Committee is wanting to know if there's anything
7 else that they should be doing or if this paper
8 wraps it up, too, so at some point feedback along
9 those lines would be useful.

10 MR. COWART: Okay, any comments,
11 questions? Tom?

12 MR. SLOAN: Tom Sloan. And I had
13 recommended the first item on tier 2 be a higher
14 priority, and I'm not really trying to re-raise
15 that issue, but from a policy perspective, I hear
16 a lot of the sky is falling arguments. We're
17 going to run out of teachers. We're going to run
18 out of physicians, nurses, veterinarians,
19 electrical employees. Not bartenders. (Laughter)
20 As long as we have college students, at least.
21 And simply having the educators come in and saying
22 we've got to get more investment in getting

1 teachers trained and retraining teachers. Or the
2 electric industry, we got to get more line people
3 trained or operators trained and such doesn't
4 prove to be very persuasive. And so, I advocated
5 fairly strongly that department work with the
6 Department of Labor and other organizations, I
7 mean, including the industry, to develop a metrics
8 that sort of predicts when folks will go out. Not
9 individuals but broad ranges, and that kind of a
10 metric, if brought to me and I'm thinking a
11 majority of my colleagues, can't help in guide us
12 in terms of emphasizing where vocational technical
13 training should be, or what we can do with the
14 Department of Labor in terms of advertising
15 opportunities or any number of other gambits
16 available to help the industry. So, I basically
17 am raising the issue about we need to be more
18 persuasive about saying what the problem is if you
19 want focus of government to help solve it.

20 MR. COWART: Wanda, I guess one question
21 is, the Committee's fine with the placement of
22 this recommendation Tom was just talking about?

1 MS. REDER: Yeah, the recommendation to
2 actually do some benchmarking in that near term
3 that would ultimately lead to more concrete next
4 step is where we ultimately landed as an ad hoc
5 committee.

6 MR. COWART: And I'll ask a really basic
7 question about the structure. The recommendations
8 starting with 2.1 are included underneath the
9 heading that says Appendix. Right? And I guess
10 I'm curious as to why, if they're recommendations,
11 why they would be in an appendix? Or are you
12 suggesting that we not adopt them? They're only
13 things to think about in the future? So, what's
14 the message here?

15 MS. REDER: Well, yeah, that's a fair
16 question. We had an assumption that there's only
17 so much capability and this is a topic that is
18 kind of on the peripheral of some of the other
19 activities, also recognizing that there was just a
20 load of recommendations coming in from very core
21 areas. What we wanted to do is focus on the
22 things that we thought would really make a

1 difference with as little amount of incremental
2 effort or money as possible. And we didn't want
3 to get that message diluted in a whole host of
4 things, so it's not to say that the recommendation
5 2 items are not important. That's not at all.
6 It's just to say that as you get into that second
7 tier, it's going to take a lot more effort and a
8 lot more coordination across other entities in
9 order to have the impact.

10 MR. COWART: I guess I get that point,
11 but to the reader, I can just report that it's not
12 entirely clear. So, maybe, just where the phrase
13 -- where the words "appendix" are stated, that a
14 phrase that says these are things that we think
15 are important, but we recognize DOE has limited
16 capability. I realize the text does say that
17 elsewhere, but.

18 MS. REDER: We can change that. Sure.

19 MR. COWART: Mike?

20 MR. HEYECK: First, I wanted to
21 acknowledge Wanda Reder's industry-wide effort
22 with IEEE and setting up the foundation and

1 actually just doing more than putting something on
2 a piece of paper, actually walking the talk, so I
3 appreciate that. I actually appreciate the
4 report. I just want to give you an anecdotal
5 situation that, perhaps, the government can help.
6 I was given a tour of the high-voltage labs at the
7 Ohio State University -- (Laughter) -- and asked
8 to support a professorship along with, I think,
9 Duke Energy, and we did. We got the professor
10 established so we have, actually, a high-voltage.
11 The lady that gave me the tour was a Ph.D. student
12 in high-voltage technology. I gave her my card.

13 I said, if you ever need a job, just call me.
14 She's now working for AEP; however, there was a
15 big hurdle to go through. She was not a citizen;
16 she had a visa. And we have to make that process
17 just a little better in order to keep the people
18 that want to stay here that are attending our
19 universities. What's underlying this, and I'm on
20 the Industry Advisory Board of the Ohio State
21 University, what's underlying this is that as
22 budgets are cut, the international students are

1 more welcome because they pay full freight, and if
2 they're being trained here, we need to try to keep
3 them here. And that is hard for a utility to do.
4 We did it. We have this lady working for us, but
5 I just tell you that that's an institutional
6 impediment.

7 MR. CENTOLELLA: I just want to
8 supplement that with an anecdote. I had a
9 conversation with Dr. Lee, who's the chairman of
10 the Power and Electrical Engineering Department at
11 the Ohio State University. He was very proud of
12 the fact that they were among the leaders in
13 having a high percentage of domestic students in
14 his program. That high percentage was about 35
15 percent, so it gives you an idea of what the
16 challenge is in terms of being able to retain
17 international students in this field.

18 MR. COWART: Is there enough here,
19 Wanda, to suggest that a statement or a paragraph
20 to that affect in this document?

21 MS. REDER: Yeah, I think, at a minimum
22 in the section 2 where it's coordinating with

1 other organizations, we should add a bullet on
2 visa and kind of this international alignment. So
3 yeah, that can be done. And my thought is do it
4 today, and get it approved today. (Laughter)

5 MR. COWART: You got my next question.

6 MS. REDER: I get it.

7 MR. COWART: To Ralph, and then Dennis.

8 MR. MASIELLO: My comments were in the
9 same vein, so I won't elaborate but two other
10 dimensions to that. One is to get Immigration to
11 recognize electric power -- call it engineering --
12 but the disciplines we're looking for, as critical
13 a skill on the list.

14 And second, I really hesitate to bring
15 this one up because it's a can of worms, but
16 because of the cyber security issues and the DoD
17 thrust into the same stuff we're talking about --
18 micro-grids, et cetera, there's real concern now
19 that some of those technologies land on export
20 control lists. And that means it will be almost
21 impossible for normal energy sector people to work
22 on this stuff because you've got to go get an

1 export license for the controlled technology. And
2 so, there needs to be -- I don't know what the
3 answer is, but a micro-grid ought not to be on the
4 export control list. And cyber security's
5 probably dicier, but those are similar issues that
6 crop up. And of course, if you have a foreign
7 student from a country on that list, then the
8 challenge is almost insurmountable, but that's a
9 different problem.

10 MR. MCGINN: Two things. Just an
11 observation on the subject of foreign students and
12 foreign workers. This is a problem that applies
13 in just about every technical aspect of life in
14 the United States, whether it's IT or
15 biotechnology, certainly electricity. And it's a
16 problem that needs to be addressed more broadly.
17 I'd like to pick up on and expand on the point
18 that Robin Podmore made yesterday about veterans.
19 Culturally and technically, there's such a huge
20 match between our industry and a lot of the things
21 the Armed Services do. And while there have been
22 efforts to make better matches, I think we can

1 probably do a better job. And ideas that I would
2 like to have considered would be -- you may have
3 heard of things like eHarmony. Well, that "e"
4 could be electricity where we put forward a model
5 of a dating service, effectively. Monster does it
6 broadly across the job-search area, but you'd want
7 to have participants from, obviously, the
8 industry, every aspect of the industry that
9 produces electricity and delivers it and uses it.
10 You'd want to have the Department of Energy,
11 obviously, the Department of Veterans Affairs,
12 DoD, and Labor, to an extent, populating databases
13 that make these, and then having a good matching
14 algorithm where you could categorize types of
15 skill sets and skill demands into various jobs.
16 And I think it would really accelerate and make
17 these better matches.

18 The other sector, if you will, that
19 should be considered is there -- and VA would have
20 a pretty good handle on this. There are many
21 nongovernment organizations, like Veterans for
22 Green Jobs out of Denver, Colorado, or The Mission

1 Continues out of St. Louis, that are in the
2 business of trying to place veterans in energy.
3 And I think that this could be another input into
4 eHarmony.

5 MR. HUDSON: Wanda, as a newbie I lack
6 context around this, but what struck me about the
7 paper, and perhaps it's implied in this identified
8 best practices, there's a tremendous number of
9 specific efforts ongoing by individual utilities
10 to work with local community colleges and stuff
11 like that. And I found that there was sort of a
12 general lack of acknowledgment in this white paper
13 around those efforts, and I wonder if you could
14 speak to that.

15 MS. LAFLEUR: Yeah, that's a good point.
16 There is a lot of good effort that is underway,
17 and I think in many cases we just don't have the
18 visibility, and because of that lack of visibility
19 we haven't been able to scale or leverage or kind
20 of learn from another. So, that was one of the
21 things that got us to the point of that prize or
22 award is that we would have a mechanism where

1 people could actually, oh, I got a really good
2 thing going on here, and submit it, because the
3 challenge has been figuring out how to get
4 visibility and get that collection done. And we
5 thought once we had that in a database, we could
6 turn around and not only give visibility to good
7 things that are going on, but that information
8 could be helpful to disseminate the best
9 practices. To your point, we could escalate and
10 make it a little bit more visible that there are
11 some good things happening, and that's what causes
12 the recommendation, if you like.

13 MR. SLOAN: Tom Sloan. To pick up on
14 Denny's comment, unlike you, I'm involved in a lot
15 of other endeavors and one of which is with the
16 Department of Defense. They have increasingly
17 become aware that as the military forces are going
18 to downsize starting next year, they need to be a
19 lot more engaged, too, in getting veterans jobs.
20 So, what they did is they have approached
21 legislators through NCSL, and we're developing
22 model legislation that will allow our higher

1 education institutions to accept the training
2 certificates that the DoD employees earned.

3 Basically, what we're doing is, just as
4 we have universities review the community college
5 criteria for transferring course work, we're now,
6 with the DoD cooperation, figuring out what a
7 certificate in power plant management means
8 education-wise, so we can get them the recognition
9 for the additional courses they need to fill the
10 jobs that are out there. So, that's a major
11 effort, but something that sometimes you might
12 want to have DoD come in and talk to us or to CEWD
13 or something like that. But again, that's an
14 example of where the State can help in terms of
15 addressing this.

16 MR. COWART: Thank you. Anything else
17 you need, Wanda? It seemed to me you were making
18 a list of relatively minor adjustments to the
19 paper that we could put in front of the Committee
20 in recommending adoption.

21 MS. LAFLEUR: Correct. And I'll work on
22 that over lunch and be glad to take some comments

1 to accept that people want to get a pen out. I
2 got the Recommendation 2 piece. Certainly visa
3 immigration and that whole theme along with,
4 maybe, some little added commentary around
5 veterans and that there is a culture and
6 technology fit, the whole dating service piece of
7 it, if you will. A bit more context on the award,
8 and then picking up, maybe, on a future panel as
9 Tom suggested.

10 MR. COWART: Okay. And our goal would
11 be to have a very concrete statement of editorial
12 amendments that could be made to the paper that we
13 can vote on.

14 MS. LAFLEUR: Exactly. All right.

15 MR. COWART: Thank you very much.

16 MS. LAFLEUR: Thank you.

17 MR. COWART: All right. Well, we're a
18 little bit ahead of schedule which is terrific,
19 and I'm going to recommend that we adjourn for
20 lunch. We're going to -- is there a preference?
21 I guess we're scheduled to resume at 1:15. I
22 think we should stick with that. Gives everybody

1 time to take care of these editorial issues over
2 the noon period, and look forward to resuming at
3 1:15.

4 (Whereupon, at 11:49 a.m., a
5 luncheon recess was taken.)

6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

1 MR. COWART: Oh, I'm sorry, it's not
2 that.

3 SPEAKER: The non-wires.

4 MR. COWART: It's the non-wires. We
5 have a mike at the podium, so I'm not going to
6 take it in order.

7 Please go ahead, Ralph.

8 MR. MASIELLO: I thought you were saying
9 (inaudible).

10 MR. COWART: No. Because of the order
11 you did them this morning is different than where
12 you're standing.

13 MR. MASIELLO: (inaudible) that monitor
14 and the projector has presence.

15 MR. COWART: There you go.

16 MR. MASIELLO: Good. So what I propose
17 to do is go through the edits. And if need be we
18 can zoom, et cetera. But we inserted paragraphs.
19 Paul largely drafted them. People read them from
20 a distance, or should I zoom this thing.

21 MR. COWART: You're going to have to
22 zoom it for me, anyway.

1 MS. HOFFMAN: Just read it.

2 MR. MASIELLO: We note that there are
3 significant opportunities to take advantage of the
4 fact that many end uses of electricity are
5 associated with thermal inertia, including
6 heating, cooling, water heating, and refrigeration
7 and/or have flexibility in the timing of when they
8 draw power from the grid; also including pumping
9 loads, industrial batch process pool pumps,
10 dishwashers, clothes dryers, and the charging of
11 vehicles and other battery-powered devices.

12 There are numerous technologies for
13 optimizing demand that have implicit or explicit
14 abilities to not only reduce demand but to shift
15 the energy usage and time in a controlled fashion.
16 Many are controllable delays or deferrals of
17 energy usage. Some are more flexible and the
18 energy can be consumed in effect earlier than
19 really needed and then effectively recaptured when
20 the end use demand is real. Examples include the
21 control of hot water heaters, which is a delay or
22 deferral and the pre-cooling of buildings which is

1 early consumption and controlled recapture. And
2 then it mentions EV smart charging.

3 Keywords. It says these technologies
4 can provide many of the same benefits and
5 applications as the grid to grid storage
6 technologies discussed in the report. The focus
7 of this report is on storage technologies which
8 are electrically fungible in that the storage
9 resource and storage energy can be redelivered to
10 the grid as electric energy in some way.

11 Okay. That last sentence is key. Mike
12 Johnson from Arpa-e came over to explain the need
13 and decided that it's worth giving him a day to
14 give us the paragraph and the links to the
15 appropriate Arpa-e website reports for an overall
16 summary of the Arpa-e storage program. So that
17 will go in here in place of this table.

18 Then, however, this is a new
19 recommendation that came up as we were drafting.
20 This is a new, therefore, worth looking at,
21 because somebody from DOE pointed out that the
22 language that was written basically said don't

1 kill what's already committed, but no more than
2 that. So this language says we encourage ongoing
3 storage technologies, research and applications
4 development. And then at the bottom insert, we
5 also encourage that Arpa-e establish new programs
6 in these fields on an ongoing basis. That's a
7 significant change. The point of that clear?

8 This is just a correction that Paul had
9 at Section 5, not 4.

10 MR. COWART: Going back to that last
11 point. Couldn't that just say DOE established as
12 opposed to Arpa-e?

13 MR. MASIELLO: The point was that the
14 next Congress could not fund new Arpa-e projects.

15 MR. COWART: Right.

16 MR. MASIELLO: This recommendation is
17 saying in effect, it should be, as opposed to DOE.
18 This is Arpa-e as opposed to DOE.

19 SPEAKER: DOE established (inaudible).

20 MR. MASIELLO: In the interest of time
21 I'll do that offline.

22 This is simply pointing out in the

1 discussion of RPS studies that need to include
2 storage also include the demand optimization
3 technologies. We agree that demand optimization
4 is preferable to demand response.

5 At this point, Pat, we need DOE to
6 validate has the storage technology roadmap been
7 published or not. If it is published we shouldn't
8 have a recommendation that it be published.

9 MS. HOFFMAN: Is it published?

10 MR. GYUK: Well, it's published in the
11 sense that it's on the OE website.

12 MS. HOFFMAN: So the answer is yes?

13 MR. MASIELLO: That would be published.

14 MR. GYUK: Yeah, together with the
15 backup documents from the workshops that led to
16 the strategic map.

17 MR. MASIELLO: Okay.

18 MR. GYUK: And events really I'm sort of
19 thinking of doing an update to that roadmap this
20 year or a new one.

21 MR. MASIELLO: Okay. Similar comment
22 about demand response not being in scope. Paul

1 inserted the language about ERCOT's developed
2 revised protocols and we'll have to find the
3 citation.

4 Okay. Here's a link to the non-wire
5 solutions, actual hyperlink to be set up when
6 there is one. Correction to the Presidia
7 megawatt, MVA point.

8 And then refers again to the demand
9 optimization of the use of thermal storage. It
10 makes a new point not made up front that says
11 these may be potentially available in large
12 amounts and represent cost-effective alternatives
13 to electric storage.

14 This clarifies the CPUC ruling on the
15 Southern Cal Edison and (inaudible) right source.
16 Very specific updates to the AES LIPA proposal.

17 This one's important. The 2008 report
18 had a specific recommendation that said launch and
19 accomplish the materials genome project for
20 analysis of alternative materials. This isn't a
21 part of this report which is simply saying look at
22 the 2008 objectives, what's happened. And after

1 spending some time with Mark we generated this
2 language that said Arpa-e is addressing this in a
3 number of programs which are currently not being
4 addressed by the DOE OE roadmap as intended. And
5 then it has examples of the GRIDS program and the
6 SBIR STTR program. So that's the correction to
7 the discussion of the materials genome.

8 Everywhere that it occurs now there's
9 common language that said that of the four energy
10 storage research centers in the 2007 act the goal
11 is still open. There is an open RFP process for a
12 storage hub as of today unless someone corrects
13 it. And there are more edits, bear with me.

14 Commissioner LaFleur kindly got somebody
15 to give us the correct reference to the open NOPR
16 so that citation is complete.

17 This was what I referred to this
18 morning. The flow of these bullets needed to be
19 corrected. And so now it --

20 MR. COWART: You just reordered them?

21 MR. MASIELLO: Pardon?

22 MR. COWART: This is just a reordering

1 of those bullets?

2 MR. MASIELLO: Yes, the recording of
3 bullets. Alternatives could include, and then
4 following four bullets. The ones in red are the
5 paragraph that was in the wrong place.

6 MR. COWART: Right.

7 MR. MASIELLO: This is deleting the
8 backhanded comment about decoupling. And again in
9 the FERC NOPR was supposed Order 1000.

10 Here we already had the reference to the
11 EMS whitepaper. We'll add a link when it's
12 available.

13 This is also just reordering the
14 discussion of capacity factor and deleting the
15 paragraph that people didn't like, this one.
16 There's some discussion about this graph going on.
17 And people were trying to find a better graph from
18 EIA. But at the moment this is what there is.
19 The source of this graph was taking an EIA table
20 of capacity factor by generation type nationally
21 and summing it. And there's an ongoing discussion
22 about why it's so saw toothed. So if something

1 prettier appears we'll plug it in.

2 And this is Sonny's comment on cost
3 disallowance. Sonny typed this for us.

4 And here's the same language about
5 Arpa-e. It will be corrected as we discussed
6 earlier. And the same language about the
7 (inaudible). And that's it.

8 MR. COWART: Okay. Are there any
9 clarifying questions or comments on this?

10 MS. HOFFMAN: I guess I just have one
11 question. Does this also include the Recovery Act
12 projects and (inaudible) projects?

13 MR. MASIELLO: They're summarized in the
14 very beginning.

15 MS. HOFFMAN: Okay. I missed it.

16 MR. MASIELLO: They're summarized in the
17 very beginning, Pat, and they're discussed under
18 ongoing R&D and the section on DOE R&D with
19 highlights in some of them.

20 MR. GYUK: Because you're showing the
21 loving AES project in West Virginia and apparently
22 not equally lovely projects that we're doing.

1 MR. ROBERTS: With the best photos we
2 had equal time.

3 MR. MASIELLO: Equal time. And we made
4 the point that some storage applications are
5 commercially viable as evidenced by private
6 investment going ahead without DOE. The scope of
7 this report is more than just what is DOE doing.
8 It's what is the market doing? What is EPRI
9 doing? What are the states doing? But I think,
10 Imre, some of your projects are in there, pictures
11 and all.

12 MS. HOFFMAN: Does it refer to
13 (inaudible).

14 MR. GYUK: I even considered them
15 commercially viable.

16 MR. MASIELLO: Pardon?

17 MR. GYUK: I even considered them --

18 MR. MASIELLO: I did not mean to imply
19 otherwise. I simply said it was noted, sorry.

20 MR. GYUK: Oh, I see. I know you know.

21 MR. COWART: Okay. So I think we're
22 ready to advance the report for approval. And

1 just to be clear, it would be good to start over
2 again and take a motion and a second.

3 Tom?

4 MR. CURRY: I move we accept and advance
5 it.

6 MR. COWART: Second? Wanda? Okay. We
7 have a motion and a second to accept the report
8 with the revisions we've just been shown.

9 MS. HOFFMAN: Can you just reference OE
10 as part of the Recovery Act? Because you just say
11 -- I mean you reference Arpa-e directly.

12 MR. MASIELLO: Yeah.

13 MS. HOFFMAN: But maybe I'm missing it.
14 But I don't see the Office of Electricity
15 referenced to the Recovery Act projects. I see
16 DOE, ARA.

17 MR. MASIELLO: Sure.

18 MS. HOFFMAN: It's on page 73.

19 MR. MASIELLO: 73 or 70?

20 MS. HOFFMAN: Okay.

21 MR. MASIELLO: Pat, which page?

22 MS. HOFFMAN: I have page 73, but that

1 was before all your edits.

2 MR. MASIELLO: That's in the appendix.

3 MS. HOFFMAN: Okay. That's where I
4 found them listed.

5 MR. MASIELLO: Pardon?

6 SPEAKER: Right up front.

7 MR. MASIELLO: Yeah, we ought to put it
8 right up front. I mean this is right out of, by
9 the way, the DOE database, these projects. But
10 let's go up front and make sure. Rather than
11 wordsmith in front of the group I'll just put a
12 comment in here.

13 MR. COWART: I take it you're accepting
14 that amendment?

15 MR. MASIELLO: Yeah.

16 MR. COWART: Okay. So we have a motion
17 and a second to adopt the report as amended and as
18 subsequently very slightly amended. Any further
19 discussion? Clark?

20 MR. GELLINGS: So moved.

21 MR. COWART: Okay. So moved. We're
22 ready for the vote. All in favor say aye.

1 GROUP: Aye.

2 MR. COWART: Any opposed? All right.
3 It's unanimously approved as amended. Thanks very
4 much, Ralph.

5 MR. MASIELLO: Thank you all.

6 MR. COWART: And thanks to all the folks
7 who worked over the lunch hour and for Paul's
8 contribution, Lauren's intervention. Looked like
9 there were quite a few people working on the
10 draft, and you all deserve some credit for coming
11 to closure. Thank you very much.

12 MR. MASIELLO: Thanks again.

13 MR. COWART: Okay. Next is -- now we'll
14 get to Mike.

15 MR. WEEDALL: Well, I apologize that I
16 can't put it up on the screen. I did it the old
17 fashioned way with the pen like while I was
18 sitting on airplane. So I'll just run quickly
19 through the comments that I received and how the
20 changes are going to go in. Paul gave us a couple
21 of comments, and I'm sorry I didn't get a chance
22 to see you over the lunch hour, Paul, to go over

1 this. But you were talking about the fact that
2 within utilities it's not unusual to have the
3 stove pipes and the staff's never getting
4 together. I mean out in the Northwest we actually
5 had a river between us. Had to swim to get to the
6 transmission people. But you also talked again
7 about the fact that there's a need for an
8 integrated planning process. So right up front in
9 the paragraph, the third paragraph that talks
10 about the challenges associated with non-wires
11 crafted the word that says, another challenge is
12 traditional. Utility structures where
13 transmission staff and expertise for non-wires are
14 typically not integrated. And this integrated
15 planning process is one that needs to be fostered.
16 So I think that captures the essence of what you
17 were talking about.

18 MR. CENTOLELLA: That's fine.

19 MR. WEEDALL: Yeah. Good. Merwin had a
20 comment about the fact that another advantage of
21 non-wires is better information, etcetera. And
22 you can find out that you actually have existing

1 capacity. I could go on for a long time about the
2 experience at Bonneville and the benefits we got
3 out of that. I would just add a bullet on the
4 second page of the paper where we do summarize the
5 benefits of non-wires as saying that it enhances
6 the capacity of existing systems through the
7 additional analysis and information. So I think
8 we got that one.

9 That work for you, Merwin?

10 MR. BROWN: Oh, sorry. Is Billy here?

11 SPEAKER: Yeah.

12 MR. BROWN: Are you happy with that?

13 MR. WEEDALL: Okay, terrific. Let me
14 see. Next we go back to the recommendations. And
15 between Sonny and Tom and Barry I wanted some
16 elaboration on groups that should be mentioned
17 there as being part of the outreach. So we've
18 added the National Conference of State
19 Legislators, industry representatives, NASUCA, and
20 the counsel of state governments to that list. So
21 I think we're good there. Gordon chimed in
22 talking about there should be reference to the

1 FERC because of their regulatory practice. So as
2 part of that first recommendation I penned in the
3 words, coordinate with the FERC to insure lessons
4 learned and best practices can be considered in
5 their regulatory role.

6 And that brings us back to the last
7 comment. And I didn't write this down so I'm
8 forgetting who gave it to us, but somebody wrote
9 an additional recommendation here. I'll read to
10 you and then whoever it is can admit that they did
11 that and I apologize for not being on top of that
12 detail. But suggestion is to add again one last
13 recommendation that says, increase the research
14 and development emphasis on non-wires. For
15 example, use of SynchroPhasor measurement based
16 tools and real-time thermal rating to optimize the
17 carrying capacity of existing and new transmission
18 assets by providing better knowledge of the
19 situation of the grid.

20 Was that you, Billy? Was that Merlin?

21 SPEAKER: That was Merlin, yeah.

22 MR. WEEDALL: Okay, great. And that's

1 consistent with the comment that I put in up
2 front. So I think that takes care -- and then
3 Rich you had the comment about dropping the two
4 appendixes, so they weren't really comprehensive
5 in talking about that. So, yeah, go ahead and do
6 that. So I think that takes care of housekeeping.

7 MR. COWART: Again, any clarifying
8 questions at this point? Are we ready to roll?
9 Do we have a motion?

10 MR. CURRY: Motion made.

11 MR. COWART: All right.

12 MR. CENTOLELLA: Second.

13 MR. COWART: Second by Paul. All in
14 favor of adopting the report as amended say aye.

15 GROUP: Aye.

16 MR. COWART: Are there any opposed? All
17 right. The report is adopted as amended. Thank
18 you. All right. And since we're on such a roll
19 Wanda is going to take us to the next one.

20 MS. REDER: Workforce, right?

21 MR. COWART: Yes.

22 MS. REDER: All right. So I got the

1 edits here. So essentially what we got here is a
2 document that has edits. The following is high
3 level we're incorporated. Chris Peters had
4 language on cyber which was accepted in full.
5 Based on Rich's comments on confusion of Section
6 2, Section 1 it now reads Section 1, Section 2
7 with a conclusion at the end. The word prize was
8 changed to recognition program as a recommendation
9 that came from Pat. There is language that says
10 collaborate with IEEE Power and Energy Society for
11 understanding curricula on and trends both from
12 the education and also the enrollment and faculty
13 piece. And then there was also language on
14 engaging with DOD and bringing career visibility
15 to veterans, mapping veterans back into
16 prospective careers. And last but certainly not
17 least is language on the for national peace. So
18 with that I'll just show you the specifics.

19 The very beginning we have the cyber
20 language that was incorporated. So it's just a
21 little slow going on here. But there's a few
22 cyber that was inserted in front of secure in the

1 overview. And there's a paragraph that was added.

2 Chris, do you want to talk to this
3 paragraph at all? It's your language.

4 MR. PETERS: Sure. Chris Peters,
5 Entergy. There's been a lot of discussion about
6 the workforce, Asian workforce issues. You know
7 from a cyber prospective there's just a dearth of
8 expertise that can operate both in the cyber arena
9 and in the control system arena. And this is
10 something that was called out in the Center for
11 Strategic International Studies. I think it was
12 back in 2010 that the human capital crisis. So I
13 add some of that language in there and it's just
14 something that we can call out and work with the
15 DOE on how we can offer some practical suggestions
16 on helping aid and develop the workforce on a
17 number of different levels and this language calls
18 that out. So we do have a specific reference to
19 cyber and the white paper now.

20 MS. REDER: All right. This next few
21 minor edits is just simply a definition of Section
22 1, Section 2 and their proximity in the paper.

1 Changing prize to recognition program. That was a
2 change throughout. And as we cruise on down here
3 I think that summarizes everything in Section 1.
4 The remainder fell in Section 2 which will take a
5 while to get. Recognition program. Yeah, the
6 summary went to the end of the paper rather than
7 the middle. And now we are to the section that
8 tees up the interaction with DOD and career
9 visibility. Eventually we'll get there. Promise.
10 Collaborate with IEEE PES to work with their
11 survey data. Understand transfer demographics,
12 curricula, et cetera. And the next one, DOE
13 engage with Department of Defense and higher
14 education to determine how military certificate
15 training translates into additional traditional
16 academic degree programs. And the last are more
17 substantive comments that came out of discussion
18 prior which is more around the career awareness
19 and foreign nationals right at the bottom.
20 Build a map between energy, industry,
21 jobs, knowledge, skills, and attributes and
22 military occupation specialties so that veterans

1 can understand how they best fit within the energy
2 industry, one, and coordinate with DOD and VA to
3 educate veterans on industry career opportunities
4 for example through the DOD transition assistance
5 program.

6 And then the last one which you guys had
7 a fair amount of discussion on was the For
8 National Peace. There was just a little bit of
9 background. There are many foreign nationals in
10 school in the U.S. that receive degrees and
11 advanced degrees in power systems. These
12 professionals later may need VISA sponsorship to
13 remain and work in the United States. And there
14 was one bullet at the bottom. Study the issue of
15 sponsoring foreign students by energy
16 organizations to retain well educated foreign
17 nationals to fit future industry needs.

18 So that's it. Comments? Yes.

19 MR. SHELTON: Chris Shelton, AES. I
20 recall there was some discussion about recognizing
21 what industry is already doing in this regard.
22 And one example of that is the Troops to Energy

1 Initiative. Is that recognized anywhere?

2 MS. REDER: I forgot to put in Troops to
3 Energy. We can find a place for that and it will
4 be a friendly amendment. Actually I did pick up
5 that there are some quite successful programs in
6 here, and that teed up the recognition programs.
7 That was added.

8 MR. COWART: Anything further?

9 MR. NEVIUS: Yeah. Wanda, with regard
10 to university curricula, the comment I was making
11 had to do with the Energy Systems Engineering
12 Institute which was a concept developed by EPRI
13 and deployed in a number of universities around
14 the country, including Lehigh. And it was that
15 specific interface I was talking about, not
16 necessarily with IEEE PS.

17 MS. REDER: Okay. So we can
18 specifically cite that.

19 MR. NEVIUS: You could say IEEE PS and
20 --

21 MS. REDER: Right.

22 MR. NEVIUS: -- the universities that

1 are promoting more of these university programs to
2 develop this energy systems engineering
3 curriculum.

4 MS. REDER: Okay.

5 MR. GELLINGS: There are others. You
6 might just put some words in there. I mean, the
7 Office of Naval Research at the University of
8 Minnesota is one.

9 MS. REDER: That's actually why I left
10 it generic. Because from the PES survey we
11 actually catch class by class. And some of these
12 aren't formulated into exact programs, and it's
13 really a moving target right now. So I can give
14 some examples. It's easily done.

15 MR. COWART: Anything further? Do we
16 have a motion?

17 MR. BOWEN: So moved, Rick Bowen.

18 MR. COWART: Thank you, and a second?
19 Brad? All in favor of adopting this report as
20 amended and as --

21 MS. REDER: Friendly amendments
22 accepted.

1 MR. COWART: Including the friendly
2 amendments, please say aye.

3 GROUP: Aye.

4 MR. COWART: Are there any opposed?
5 Again, it's adopted as amended. Thank you very
6 much, Wanda.

7 MS. REDER: Thank you.

8 MR. COWART: All right. I think I want
9 to congratulate again all the people that worked
10 since this morning to bring these documents to the
11 finish line. And now --

12 MS. REDER: Are we ready for the next
13 one?

14 MR. COWART: Yeah, we are.

15 MS. REDER: All right. Hold on because
16 we have a crash course and all the activity going
17 on in smart grid. We have three folks here from
18 DOE: Eric Lightner, Joe Paladino, and Chris
19 Irwin. So there's a lot of content here in a half
20 hour, and I'll just them take over.

21 Go ahead.

22 MR. LIGHTNER: My name is Eric Lightner

1 and I'm going to roam around rather than stand
2 behind the podium in your way. I won't be there
3 for long, so I'll be moving.

4 But I wanted to update you all today on
5 what we're doing through an (inaudible) agreement
6 on smart grids through the IDA and all of you are
7 familiar with the planning agreements and all
8 that. But basically it's a mechanism that calls
9 for international (inaudible) collaboration, plus
10 a call for (inaudible). And one of the ones that
11 DOE is leading is the smart grid (inaudible)
12 agreement. One of those tasks or projects which
13 they call annexes we are also the lead on, and
14 that's what I'm going to tell you about.

15 So it's some work we've been doing on
16 what we're calling the global smart grid
17 inventory. And just a little background on that.
18 We first said, okay. We want to collaborate on
19 smart grid. We want to coordinate on smart grid
20 things. What does that mean? What kind of
21 projects are we talking about? What kind of work
22 are we talking about? So we figure the first

1 thing you do is kind of get to know what's going
2 on in each of the countries so we can then figure
3 where your common priorities are, where are common
4 goals are and how we can better best coordinate
5 across those boundaries, if you will, those
6 borders. So these are the countries involved and
7 have officially signed up to participate in the
8 implementing agreement on smart grid, also known
9 as ISGAN.

10 So test one. Test one, this global
11 inventory, it really has three tasks: It needs to
12 look at the framework assessment on a national
13 level, (inaudible), and technology priorities for
14 smart grids. So what does that mean? We wanted
15 to get a feel for what's the environment in all
16 these countries? What is really driving countries
17 to do smart grid deployments. So we wanted to get
18 a handle on what those main drivers are and what
19 technologies are you using in your country to try
20 to accomplish, try to get to those goals that
21 you've set up through those drivers. So what are
22 those pairs? What are those driver technology

1 pairs because they can vary depending on developed
2 economies and developing economies. So we wanted
3 to get an idea of what's pushing the country to do
4 investments in smart grid.

5 Test 2 is really to then look at, okay,
6 we know the drivers, you know the technologies.
7 Now, what projects do we have within those
8 countries that are representative of those
9 technology drivers pairs.

10 And then third, let's do some analysis
11 on those projects to really look at the projects
12 that we have in common that we really want, we
13 want to monitor, we want to evaluate moving
14 forward, so that's really how it set up.

15 This is way too busy to look at but
16 basically what we did was we developed a drop down
17 menu if you will of 24 drivers in seven categories
18 along with 50 technologies. And then we developed
19 a web-based survey tool around that so that
20 countries could easily, remotely fill out what the
21 top six motivate drivers were and what their top
22 five priority technologies in each of those driver

1 categories. So it's just to give you some insight
2 into what's really motivating our country. So at
3 the end of September we completed 35 of these
4 surveys from 21 of the 22 countries. We validated
5 the majority of those which just means that the
6 official executive committee member from that
7 country has signed off on the completed survey.
8 We are still waiting for some evaluations. And
9 some have actually been thrown out. So what do we
10 do with that?

11 So basically we collect the information
12 then we sorted it and sliced and diced it in
13 different ways and basically come out with these
14 listings of basically all the drivers across all
15 the countries, all the technologies across all the
16 countries. And that we look at it by economies
17 and by continent. So the Australia case is kind
18 of a non-case but it's the same in those
19 situations. I have a copy of what I'm going to
20 present here today as far as the results. I have
21 a report. I have 10 copies of that report. I'll
22 pass around. And if I need more, if anybody wants

1 one that didn't get one let me know and I can get
2 one for you.

3 So for the U.S., so this is the U.S.
4 case. I thought I'd give you first. So for the
5 US the top ranked drivers for the U.S. as far as
6 smart grid goes is system efficiency improvements,
7 be liability improvements compound or restoration,
8 enabling, customer choice and participation,
9 enhanced power system resiliency, and regulatory
10 compliance. That's how it stacked up using this
11 again a web-based tool for the U.S. And this is
12 probably too busy but you're going to see this in
13 the report. These are those top drivers and the
14 associated technologies that are being utilized
15 with those drivers. So system efficiency to
16 enabling customer choice, like here you can see
17 demand response, AMI is in here.

18 So this is the meat of the report. This
19 is what we want to try to start to see. So these
20 are the top 6 ranked drivers across all 19
21 countries that had validated results. And as you
22 can see the top drivers it's kind of interesting,

1 right. Renewable energy standards or targets is
2 the top driver across all those countries. And
3 that's sort of tends to make sense because
4 majority of these countries if you go back to the
5 first and second slide that I had this a lot more
6 developed countries than developing countries in
7 this implementing agreement. So they tend to
8 dominate when you look at all the countries.

9 Number two is system efficiency,
10 reliability improvements, enabling customer
11 choice, and the top ranked technologies across all
12 countries. No surprise, right? AMI is the number
13 one technology across all drivers across all
14 countries, large-sized variable renewable energy
15 sources, demand response, wind, and distributed
16 energy resources.

17 So if you look at it more as from the
18 developed economies versus the developing
19 economies you start to see some differences. It
20 starts to diverge as far as why they're doing
21 this. What are their main drivers? You can see
22 in the developing economies is reliability

1 improvements. That's their number one thing,
2 right? Brazil, South Africa, countries like this,
3 they're really after theft detection, right? They
4 have theft up to like 30 percent on their system.
5 So really just being aware of where their energy
6 is going is a really important to them and
7 improving the efficiency of the system overall,
8 whereas you can see from the developing countries
9 we're more focused on renewable integration and
10 also enabling customer choice and participation.
11 That doesn't even show up on their list over here.

12 And then the top ranked technologies
13 across all drivers again for the developed
14 economies and the developing economies. I won't
15 go into too much detail since I think I'm running
16 out of time here. So that was all the first task.

17 The second task was then, okay, let's
18 start looking at projects now that are
19 representative of each countries technology driver
20 pairs and let's collect up to 10 projects per
21 country. Then we're going to look at where are
22 our commonalities? So we are in the process of

1 doing this task two now. We've developed the
2 selection criteria for those projects. We're
3 starting to collect those projects. We developed
4 again a web-based tool to define the information
5 we're going to collect on those projects. That's
6 over here, build and manage the project inventory.
7 The template for (inaudible) data, so we're going
8 to collect information on all these projects that
9 similar so we can start to compare across
10 countries.

11 This was the criteria. So it had to be
12 a demonstration of a deployment project. It had
13 to be supported either by a government or
14 regulatory entity. Since this is a government to
15 government exchange we didn't want to have only
16 privately funded projects in here because we
17 wouldn't really have jurisdiction over those
18 projects, if you will. So we're in the process of
19 collecting those projects.

20 And this is my last slide I believe.

21 And what are we going to do with that?

22 So again, just in summary, first we want

1 to take a look at what's motivating countries,
2 what are reflective projects of those motivating
3 driver technologies, what are the commonalities
4 then across countries so we can focus in on those
5 specific projects and boil it down to about two
6 projects or so per country that we track in
7 earnest, we do cost-benefit analysis on, we use
8 some other analysis tools on to really start
9 comparing success around the world with these
10 projects.

11 So that's where we're at. Let me pass
12 this out before I forget here. So again there's
13 10 copies of these. And take one if you want one.
14 Don't if you don't, obviously. And if we're
15 short, we will get you more.

16 So before I turn it over because I think
17 we only had minutes, right?

18 MR. COWART: You can take a question if
19 you'd like.

20 MR. LIGHTNER: The subcommittee's
21 probably received this. This is a smart grid
22 system report draft for this year. And I just

1 wanted to give a little advertisement for it that
2 I think you've already received this and comments
3 are due by the end of the month or something like
4 this. And this is very important because our
5 deadline at DOE is the end of the calendar year.
6 And I can tell you, it's going to take us a long
7 time to get through that process just because
8 there's a lot of people that review it. And it's
9 kind of that time of the -- it's silly season, as
10 Michelle says, and it's hard to get things through
11 the normal review process as it is.

12 So we really appreciate your input on
13 this. It's the third one that we've done. It's a
14 report to Congress that we do every other year.
15 And we are required to get comments from you all
16 on this as well as the task force that I lead.

17 So I'll leave it at that and, hopefully,
18 I stayed within 10 minutes. Wanda?

19 MS. REDER: You did.

20 MR. LIGHTNER: And I'll turn it over
21 then to Joe. You're next, right?

22 MR. PALADINO: Okay, thank you. I'm

1 going to give you a very brief, quick update on
2 where we are with respect to result from the smart
3 grid investment grant program. We have spent a
4 little bit over half of the money to these
5 projects, projects of the smart grid investment
6 grant. Again, a lot of that money is going to
7 supporting deploying advanced meter
8 infrastructure, smart meters, and all the
9 underlying communications infrastructure, et
10 cetera, about a quarter of the money is going
11 toward distribution automation technology. That
12 includes technologies to improve reliability but
13 also technologies to manage voltage to greater
14 levels as well as equipment health monitors. And
15 the third and the remaining area is going to
16 putting phaser measurement technology,
17 SynchroPhasor technology in transmission systems.

18 We've been collecting results for about
19 a year from some of the projects because they're
20 still, again, in the deployment phase and it's
21 going to take a while really to see results coming
22 out of this. But there are a few projects that

1 are reporting results. In fact, we've got two
2 reports here which are in their final draft review
3 phase in DOE. One is on peak demand reduction as
4 a result of implementation of AMI and pricing, et
5 cetera, and the other one is on reliability
6 improvements. We will get these out. Following
7 these are reports that are going to be on volt var
8 management as well as operational efficiency
9 improvements in AMI. And we'll send these reports
10 to you directly by mail. We have a mailing list.
11 And they'll also be on smartgrid.gov.

12 One thing that we're finding is these
13 projects are -- when you take a look at one
14 project there are many, many subprojects. We
15 going back to each of the recipients to really
16 fine tune what information we can get from them.
17 So we're going to not only be getting quantitative
18 information in the form of impact metrics. We're
19 also going to be getting reports, technical
20 reports from them so that we can actually wrap
21 some words and explanation around the numbers.
22 All right? And we're in the process of doing that

1 right now.

2 I'm going to go very, very quickly
3 through these different focus areas. There are 62
4 projects that are deploying AMI with pricing
5 and/or with customer systems. Thirty-two of them
6 are offering pricing. Most of this is at our
7 pilot projects. They're trying to decide, A, how
8 is pricing working? How is AMI functioning and
9 are they really going to move forward to deploy
10 this technology across their systems? Some of the
11 projects we're working with have actually had
12 deployed these pricing programs across their
13 systems but their enrollment rates are very, very
14 small.

15 We have three reports that we've been
16 looking at: One of them from Oklahoma Gas and
17 Electric, another from Marblehead. These are
18 consumer behavior study reports. These are on the
19 website already. And the third report from Sioux
20 Valley Energy is also on the smartgrid.gov
21 website.

22 And I mentioned the results that we're

1 seen from OG&E, and they're getting significant
2 peak demand reduction. And, in fact, they're
3 going to be rolling out their pricing program
4 across their territory of about 750,000 customers.
5 And if they do that and they expect to get a 20
6 percent enrollment rate, they're expecting to
7 defer about 210 megawatts of peak demand across
8 the system. That's very, very significant.
9 That's equivalent to a pretty large peaking power
10 plant and so they hope to defer that.

11 Marblehead has done an interim study.
12 Now they're going to proceed to continue their
13 study. We expect to get a final report from them
14 next year. Again, they're getting significant
15 peak demand reductions. Sioux Valley is getting
16 significant peak demand reductions. Peak demand
17 reduction is really important for these folks
18 because, for instance, we took a look, Sioux
19 Valley shared how much they were paying for
20 electricity. And if you take a look at what
21 they're paying across every hour of the year there
22 are 18 hours where they're paying 10 to \$25 per

1 kilowatt hour. So it's really, really important
2 for them to really reduce peak demand.

3 And what's interesting also to put this
4 a little bit into perspective is Sioux Valley is
5 expecting to get 20 percent peak demand from
6 direct load control. And the extra 5 percent
7 they're trying to squeak out by applying these
8 pricing programs.

9 Some of the takeaways from these studies
10 are you get -- we're seeing greater peak demand
11 reduction from the application of programmable
12 control thermostats, things that are control
13 technologies. We're seeing greater impacts from
14 those that are opt-in customers rather than
15 opt-out customers, which really suggests that
16 effective recruitment enrollment of customers into
17 these programs is an effort that these utilities
18 -- many of the utilities are taken quite
19 seriously. And if you take a look at, for
20 instance, at what SMUD is doing, they have very,
21 very in-depth, comprehensive customer engagement
22 program to really try to improve the participation

1 rates of customers in these programs. But they
2 are an effective way for reducing peak demand.

3 Twenty-five projects of deploying
4 advanced volt var control technologies, 11 of them
5 are applying the technology to reduce peak load.
6 In fact, there's a utility which is trying to
7 reduce peak load by 200 megawatts across their
8 system and this is by deploying on automated
9 capacitor banks. Seven of the projects are trying
10 to effect greater conservation voltage reduction.
11 When you take a look at these projects there are a
12 host of integration and control schemes. So some
13 are going to be deploying distribution management
14 systems to try to create centralized control of
15 these devices out in their circuits. Some are
16 looking at distributed control. Some are looking
17 at implementing both of those things. There's a
18 lot of effort to really try to integrate and work
19 distribution management systems. But not all
20 utilities are going to be going down that route
21 and a lot of utilities are going to be trying to
22 assess the effectiveness of that technology. And

1 fewer sets of these projects are actually using
2 meter data that will be fed in then to their volt
3 var control strategies, okay, to give the utility
4 a better sense of end of the line voltages so they
5 can better set their voltage profiles on their
6 circuits.

7 So here's an example. Again, Oklahoma
8 Gas and Electric is implementing a control
9 algorithm to set voltage levels on their feeders
10 at the substation. They're perfecting this
11 control algorithm. What it will do is again it
12 will set the voltage level at the head end of
13 their feeders. They're applying smart meter
14 voltage data to really determine how that control
15 algorithm works. They want this capability to
16 turn on when their price of electricity reaches 22
17 cents per kilowatt hour. That's when the system
18 will kick in and they will start to implement peak
19 demand reduction on their feeder. So far they've
20 achieved 8 megawatts of reduction. They've
21 achieved 8 megawatts of peak demand reduction on
22 50 circuits and their goal is to achieve 74

1 megawatts of reduction.

2 So the takeaway from this is that
3 utilities are really trying to implement either
4 customer-based programs or direct load control
5 type programs or even methods to reduce peak by
6 bringing voltage levels down to really reduce
7 their peak level of electricity usage. And that
8 leads to much greater enhanced asset utilization.

9 Forty-eight projects are applying
10 distribution automation technologies to improve
11 reliability. Forty-two of them are deploying
12 automated feeder switches, either one to three per
13 feeder. The projects are ranging from deploying
14 thousands of these to deploying one. We're seeing
15 improvements in reductions in the frequency and
16 the duration of outages as a result of this
17 technology. So far we've got initial results from
18 4 projects representing over 1,000 feeders for
19 over a year.

20 One thing that I did want to mention is
21 that we're going to be taking these reports, we're
22 going to be going back to the recipients. We're

1 going to be working really closely with recipients
2 over the next year to really try to enhance the
3 kind of information that we can provide in these
4 reports.

5 We're getting operational efficiencies
6 from the application of AMI. We're seeing over
7 the 15 projects that we have data from, we're
8 seeing 36 percent reduction in operating costs, a
9 lot of that is from reduced truck rolls.

10 Some quick observation is for rural
11 utilities they're able to minimize to a very large
12 extent how many people they need to send out into
13 the field to do meter readings and also to do
14 remote connects/disconnects. And for those larger
15 projects they're really reducing their staff in
16 this area to about 10 percent of the levels that
17 they needed before. There's one very large
18 utility that told us that they were saving \$50
19 million a year because of the operational
20 efficiency improvements due to just AMI.

21 And then the last slide, Chris, and
22 thanks for being patient, is there are 10 projects

1 that are deploying SynchroPhasor technologies.
2 The Midwest system operator has a little bit of
3 information on them here, but they're going to be
4 actually applying data from their SynchroPhasors
5 in their operations room. And one application is
6 going to be to better conduct their state
7 estimation processes, to do it in a dynamic way.
8 And that will allow them to increase the amount of
9 electricity that they can push across their lines.
10 Okay? And then they're also going to be applying
11 in their control rooms after-the-fact event
12 analysis to really help them understand, to take a
13 look at the signatures, the information coming
14 from outages, and to be able to put in place the
15 technology, the approaches to reduce disturbances
16 on the system.

17 And that's what I have to say. Thanks.

18 MR. IRWIN: We're trying to keep to the
19 times so that you guys have all the luxury to
20 pursue the other things that you're working on
21 here.

22 My name is Chris Irwin. There's an

1 enormous amount of work going on inside of OE
2 across the grant projects, across the R&D
3 portfolio and everything. I have some of those
4 smart grid grants. And so what I want to talk to
5 you about today for just a few minutes is just
6 three things: Work on those smart grid vendor
7 ecosystem analysis, some potential economic
8 impacts, and the participation that we've had on
9 the green button data access initiative and open
10 energy data.

11 In 2010, we went about working to take a
12 look at the smart grid vendor ecosystem because
13 it's under such transition right now. And so what
14 we found from that analysis in 2010 is that
15 because of the emphasis on AMI, the AMI companies
16 themselves were acting as a nexus for making the
17 smart grid happen at the utility vendors. This is
18 in a constant state of flux. And so we're seeing
19 AMI become more of a stable and predictable
20 technology. And so you're seeing a thrust in
21 smart grid projects going toward heavy operational
22 emphasis, looking at analytics and looking at new

1 ways. And so we wanted a way to look at the smart
2 grid vendor landscape and then use that insight to
3 guide our own agenda and to help others guide
4 there is as well. We needed a stable reference
5 frame to look at organizations, to look at issues.
6 And so what we worked to do is to combine the NIST
7 conceptual reference model, which has all of your
8 traditional looks at the market, with a little bit
9 more of an esoteric approach, which is the GWAC
10 stack or the grid-wise architecture council's
11 interoperability framework.

12 As you can see this one is very much an
13 informationally focused model for looking at any
14 action that you have in the smart grid. It goes
15 from the bits and bytes up through a
16 communications network, into the core business
17 operations of the energy enterprise, all the way
18 up to the economic and policy. So what we're
19 hoping for is that you can get a differentiation.
20 If there are vendors competing in the distribution
21 landscape you need to be able to differentiate
22 Cysco from S&C. Both of them do networking. Both

1 of them are in distributions. They have nothing
2 to do with each other in many respects.

3 And so we worked to combine these and
4 take a look using that classification scheme to
5 look at the smart grid vendor ecosystem. We
6 identified about 580 organizations that were
7 candidates for that and after a filtering process
8 we came up with nearly 400. After taking a look
9 at those companies we classified them by this
10 taxonomy that we've created, and then started to
11 map the relationships between the organizations.

12 One of the things that peaked our
13 interest the first time through was when GE wins
14 the business there's a whole constellation of
15 organizations underneath GE that accomplish the
16 work and gets it done and gets the smart grid in
17 place. And so we cataloged the relationships
18 between partners, and we came up with over 1,600
19 relationships to start looking at it. That's an
20 awful lot of information. And so what we have
21 begun working on is now putting this into a
22 visualization tool. And in this case what you see

1 is the elements of the taxonomy, both from the
2 NIST and the grid-wise and the companies
3 themselves. And so this is how you see how
4 companies work together and partner to deliver
5 smart grid solutions. And so obviously just from
6 a context space people can see where they fit in.
7 People can see who they need to partner with to
8 deliver value to utilities. And so I think it's
9 going to be an interesting tool. We're just in
10 the process of completing the analysis on the
11 companies. And our next step is actually to look
12 at our R&D agenda, which, of course, has a
13 fingerprint on the exact same taxonomy and see
14 where we fit. And so we're eager to develop this
15 and move this forward.

16 One of the parts of that vendor
17 ecosystem analysis is, of course, our investments
18 through the Recovery Act. We would like to see
19 what the economy-wide impacts of the smart grid
20 investments are. It's not a simple thing. But we
21 would like to see how the funds flow to the vendor
22 ecosystem, how it flows to their supply chain, and

1 how all of that benefits the general economy.
2 Like I said, it is not a simple thing. And there
3 are two portions of it. We have a dual mission of
4 stimulus and building the smart grid. And so at
5 this point we're really focusing on following the
6 dollars through the investments. This is the
7 stimulus impact and this is the longitudinal
8 benefit of having a smart grid, benefiting from
9 increased reliability and things like that, pardon
10 me.

11 So I think what we're looking for is
12 that right now we're taking a look in this
13 analysis over the coming months and weeks as what
14 is the immediate impact on the economy. What Joe
15 Paladino's work is focusing on is the long-term
16 value of the smart grid. And so both of those
17 combined is what's going to deliver the total
18 picture. But we're very interested to pursue this
19 because after our money is through, we're going to
20 be relying on private sector and states to
21 continue advancing that agenda.

22 A third part that I just wanted to touch

1 on, of course, we're jumping across a topic little
2 bit, is green button and open data. We have a lot
3 of jobs in OE, and so we have to be a little bit
4 flexible. This is DOE, OSTP, and MIST, and EPA as
5 well, and a couple of other organizations working
6 on making energy data more available, whether it's
7 in a government database or to standards we can
8 encourage the private sector to share data. The
9 green button is certainly a highlight on smart
10 grid data and on the industry itself, is that is a
11 common format for consumers to get their
12 information and to start to use it. It really is
13 the beginning of the value proposition that lands
14 directly in the customer's lap.

15 We've had some tremendous successes with
16 adoption throughout the industry. So now we have
17 36 million homes and businesses are going to be
18 receiving their information in a common format.
19 What it means is anybody who develops an
20 application that looks at the data and helps
21 customers, helps businesses, is going to be able
22 to address 36 million customers no matter what

1 they do. So it's very exciting.

2 We held an Apps for Energy contest
3 around that. It was the highest amount of
4 attention ever on a government energy -- a
5 government applications contest. We had 12,000
6 people at the end of the contest voting and we had
7 58 applications developed within a 5-week period.
8 It was really amazing. But I always see this as
9 just the beachhead. Once that consumer data is
10 there and they can see the value in it, the smart
11 grid is producing 1,000 times the data deeper into
12 the enterprise, and we hope that that can be a
13 successful business model for everybody.

14 We're, of course, copying the consumer
15 data outwards into energy and open data in
16 general. And that was on the interestingly named
17 Energy Datapalooza anchored by Chief Technology
18 Officer Todd Park and Secretary Chu. And that was
19 a very exciting time focused on innovation and
20 entrepreneurship. And Eric, of course, is going
21 to be leading the energy data privacy
22 multi-stakeholder process that's wrapping up this

1 fall.

2 So I think at this point if you have
3 questions for any of us, we would welcome them.

4 MS. REDER: Actually, Rich, Wanda here.
5 Clark has to run and we've got a couple of other
6 smart grid discussion topics, one of which is the
7 whitepaper. If you guys don't mind just holding
8 for a bit and we give Clark just a little bit of
9 time.

10 To give you guys some background, the
11 whitepaper for the smart grid fees focused on
12 outreach. Through that discussion there was some
13 recognition that we needed to be looking at the
14 technology portfolio for smart grid going forward.
15 And there was, of course, a lot of attention to
16 the consumer acceptance part. So there's a
17 recommendation for two papers that will follow on
18 to the outreach part after this. This is teeing
19 up work for 2013.

20 And with that, Clark, can you just give
21 them a little bit more background on technology?

22 MR. GELLINGS: Thank you. Clark

1 Gellings from EPRI, if I may, Richard. Thank you.

2 So the discussion, you've framed it
3 nicely, Wanda, and thank you for giving me the
4 time. The subcommittee's done great work and the
5 paper that you'll be discussing in a minute I
6 think is an example of that. DOE's doing some
7 terrific stuff. We just heard some really good
8 examples of that. But some of us wondered what
9 happens I'll say beyond smart grid for the moment?
10 And what I mean is how do we get now from here to
11 a really fully functional power system in every
12 respect? And we've had a number of examples of
13 that brought up already here in this last day or
14 so of our discussions, and not the least of which
15 was the EMS 3.0. Mike Heyeck, without
16 elaboration, made references to power electronics.
17 He didn't go into detail, but we're talking about
18 new applications, local electronic devices that
19 don't even exist as yet, advanced sensors, things
20 like digital transformers, and the like.

21 And so there were some of us who felt
22 that it might be appropriate for several members

1 of this subcommittee, perhaps joined with the
2 Transmission Subcommittee, because this is not
3 just an issue focused on only one part of the
4 power system. What technologies would be needed
5 to go beyond those currently being demonstrated
6 and deployed and consider identifying the key both
7 transmission and distribution technologies which
8 will or may require further development and or
9 demonstration by whomever? And so I offered to
10 lead with Billy Ball, who conveniently has slipped
11 away, with Billy Ball's help. And I would ask if
12 you think this is worthwhile I'm looking for some
13 volunteers to help me with it.

14 MS. REDER: That's a call for action.

15 He wants names.

16 MS. GRUENEICH: I'll step up in a minor
17 way. But if you've already got it covered, I'll
18 step back.

19 In California, there is an R&D program
20 that's run for many years. It's been renamed from
21 PEER to EPIC. And there's a requirement that this
22 fall triennial investment plans the filed by the

1 investor-owned utilities and the California Energy
2 Commission that oversees a lot of this. That's
3 actually going to set the stage, at least in
4 California, but since the state is so heavily
5 involved in smart grid it might be useful, of
6 what's the roadmap on developing technologies that
7 don't appear to be there? So I'd be happy if
8 you're not already covered to make sure some of
9 that information gets out.

10 MR. GELLINGS: I gotcha. And thank you
11 for letting me disrupt the agenda.

12 MR. CENTOLELLA: I think this is
13 probably an appropriate place to pick up on some
14 of the discussion that we had yesterday. And
15 perhaps Clark suggests that, you know, in the
16 subcommittee we expand this a little bit beyond
17 just thinking about technology. As I was hearing
18 the discussion yesterday, and this was partly your
19 comment, Pat, partly Gordon's and people's
20 comments, you know, what the OE is really focused
21 on is focused on architecture. And architecture
22 implies a variety of things. I mean, if we get

1 down to the distribution level in areas where
2 there's distributed generation and distributed
3 demand response, you're talking about how do you
4 create a control algorithm that integrates those
5 distributed responses with potentially a nodal
6 distribution market while at the same time as
7 you're doing volt var optimization at a
8 distribution level and you're managing frequency
9 at the distribution level, all of which I don't
10 know that we have the algorithms to do today or at
11 least we certainly don't have them in place, and
12 that is a complicated technology question.

13 There is also, however, you know, a
14 question around data and metrics. You know, we've
15 taken this up a little bit in the dialogue that
16 started between EEI and NARUC about what does
17 reliability mean in a world where there's
18 distributed intelligence? How would you begin to
19 measure it? How do you create metrics around
20 resilience as opposed to just your conventional
21 reliability statistics? And then that also plays
22 into a set of policy in terms of regulatory policy

1 and other kinds of policy issues that also become
2 part of this underlying architecture for the
3 system.

4 So, Clark, I'm going to challenge us to
5 maybe take this a little further beyond just
6 thinking about technology.

7 MR. GELLINGS: I like this. Very good
8 suggestion. And thank you for volunteering, we
9 could really use your help.

10 (Laughter)

11 MR. COWART: (inaudible) also to lead to
12 the work plan discussion.

13 MS. REDER: I just want to recognize all
14 the work that DOE, OE is doing. There is a
15 tremendous amount of activity that's got underway
16 to manage these programs. And the volume that you
17 guys are managing is just phenomenal. So thank
18 you for all that you're doing. It's definitely
19 recognized that you're carrying a lot of workload
20 at the moment and doing a great job of it.

21 So anyway, we do have some time for some
22 conversation and questions and discussion around

1 the panel, and I encourage that to occur. Maybe
2 one question for you, since we're looking towards
3 the future on the R&D and the EAC can do to kind
4 of help take us from where we are to where we need
5 to be, what are your thoughts on what would be
6 most useful?

7 MR. IRWIN: Well, I think that obviously
8 -- I mean, I don't think that we've ever spent \$4
9 billion before. So we are producing a lot of work
10 products across a very diverse stream, especially
11 with Joe Paladino's work where we're rolling off
12 these reports one after the other. We could use a
13 little bit of flow control or sort of your input
14 on what you think are the messages that need to be
15 moved out most aggressively. I think that would
16 certainly be very constructive.

17 MR. PALADINO: We're sitting on sort of
18 a gold mine right now because every single one of
19 these utilities has a fascinating story to tell,
20 that of experiences. The technology is
21 interesting. And I think we talked about this a
22 lot, but I think the challenge that we have is to

1 be able to really share the information we're
2 getting from these recipients and go maybe a
3 little bit further and try to organize a dialogue
4 with them and with other members of the industry
5 to be able to determine, now that they've deployed
6 this technology and now they've experienced some
7 of the issues and hardships, what are the real R&D
8 needs and challenges they still have? And I'm a
9 little bit, you know, trying to connect a little
10 bit with what has been said already, that we're
11 dealing with systems and we're dealing with system
12 integration and system control. And to be able to
13 figure out what the next R&D challenges are in
14 that arena is --

15 MR. IRWIN: Pat had some observations
16 over there.

17 MR. LIGHTNER: Well, from my
18 perspective, I think if we could somehow figure
19 out a mechanism for doing some things similar to
20 what they're doing in Europe, right? In Europe
21 they have joint research committees across all the
22 countries that are members of the EU, and that

1 seems to work very well. So they come together
2 and they coordinate research in lots of different
3 areas across their national labs. We really don't
4 have a mechanism here for doing quite an efficient
5 job as they do at that and I think we could learn
6 about process. So, you know, it's some way that
7 we can figure out how to come together and
8 coordinate that research across our states, across
9 our federal government, across the private sector,
10 I think that would be something that would really
11 and value and allow us to actually better
12 coordinate and exchange best practices with the EU
13 in that context.

14 MR. COWART: Pat, do we need to
15 recognize you? Do you want to wait for Tom? He's
16 deferring, all right. You're on.

17 MS. HOFFMAN: Just a couple of thoughts
18 and questions. Sonny and I were talking and he
19 was asking if there was any really innovative apps
20 that have really gone into the marketplace with
21 respect to using the green button data. And I was
22 just wondering if you guys could comment. I know

1 there have been some really cool apps that have
2 been kind of prototyped, but I'm not sure I'm
3 aware of any of them that actually have hit the
4 commercial marketplace yet. That's one.

5 Joe, we did talk earlier on asset
6 management and predictive failure and hope for the
7 system as another value as we look across the
8 system as an attribute, so I just would like
9 comments on that.

10 And I forgot the third point, but that's
11 okay.

12 MR. IRWIN: So I'll just hit on two
13 green button apps that came up. One of them was
14 the winner of the Apps for Energy contest which is
15 a startup called Leaffully. And it's really not
16 rocket science, but really it's being able to put
17 energy into people's regular living context. So
18 it's not about teaching them about kilowatt hours.
19 It's about seeing if there's a way to use the
20 standard information that's available and turn it
21 into something that can fit into their Facebook
22 existence and things like that.

1 And so, whereas one of the big web
2 portal providers for customers is Opower, well,
3 Leaffully is doing something similar where they can
4 take that information from the green button data,
5 put it into a context -- in this case, they used
6 trees because that's what triggers their customer
7 base and that's what they like to think about --
8 and they can share that on Facebook. And they can
9 challenge each other to do different things or at
10 least share ideas on how they're saving energy.
11 But it's really just the social aspects and then
12 as the kilowatt hours fade, if we can continue to
13 let people act on energy and understand it without
14 having to go through that educational loop, I
15 think it's a powerful one.

16 The other one is on the business side.
17 Lots of municipalities that are requiring
18 Portfolio Manager scores, EPA Portfolio Manager
19 scores for buildings, and so there's an app
20 developer that said you download your green button
21 data file for at 12-month data file, it
22 automatically absorbs it into the app, and turns

1 it into an automatic submission to EPA Portfolio
2 Manager. They don't do anything innovative except
3 make it go faster and make it easy. And I thought
4 that was really pretty.

5 MR. LIGHTNER: Yeah, I might just add
6 from my perspective one of the ones in addition to
7 those two that I thought was really compelling was
8 an application developed in conjunction with
9 Central Maine Power for education purposes. So
10 they've teamed up with their middle schools across
11 the state and developed an application that takes
12 green button data and uses it in an educational
13 way for students so they learn what their home use
14 is, what they can do to reduce, and other things.
15 The analogy I think of is the recycling example,
16 right? So, you know, kids learn that from very
17 early on and now that's the norm. Well, same kind
18 of thing. So I think if we can leverage this kind
19 of data to develop educational applications for
20 kids, then I think we'll have better, more
21 efficient practices of energy use in the future by
22 future generations.

1 So that application I thought was very,
2 very interesting and it's targeted at, you know,
3 the younger folks that are basically going to
4 inherit the system and its use in the future. So
5 I thought that was really good.

6 MR. COWART: Tom?

7 MR. SLOAN: Thank you. For those
8 members of the EAC who have been on for a while,
9 you'll recall that at our last meeting Erich
10 Gunther came in and made a presentation about the
11 GridWise Architecture Council and the GWAC Stack.
12 And so I commend Chris for actually employing it
13 because it's an extension of work that the DOE has
14 supported.

15 MR. COWART: I've got a question for Joe
16 or whoever. I apologize I missed some of the
17 slide, so I might have missed this point. But I
18 saw a lot of emphasis on data collection, smart
19 grid applications, AMI applications for peak load
20 reduction and the question is constantly asked
21 what about throughput reduction, total consumption
22 reductions. Have you got a summary slide on that

1 or is there a report you can refer us to?

2 MR. PALADINO: We don't. We're going to
3 be looking at that, also. I think that if you
4 look at the -- we don't want to neglect that, but
5 I think if you look at the Marblehead and the OG&E
6 and Sioux Valley reports -- there's also overall
7 energy consumption data that also embedded in
8 those reports because they're not only looking at
9 kilowatts, they're also looking kilowatt hours.
10 There's a lot -- there are tables and tables and
11 tables that we've gone through and we can extract
12 the energy consumption data also from those. We
13 just didn't do it for this. But that information
14 is there including the influence of technology,
15 including the influence of pricing on being able
16 to effect this, including whether it's opt-in or
17 opt-out. Some of the opt-in customers actually do
18 better in terms of energy consumption reduction
19 than the opt-out customers.

20 So all this data is there. It's in
21 these reports. We just need to extract it.

22 MR. COWART: As a follow-on to that last

1 bit, when you say opt-in customers maybe reduce
2 consumption to a greater extent than opt-out
3 customers, are you saying across the entire
4 customer base or just across those who happened to
5 opt- in?

6 MR. PALADINO: In the studies that we've
7 looked at specifically, they look at opt-in and
8 they look at opt-out. And in just the studies
9 that we've got, it looks like those that are
10 opting-in are reducing their energy consumption to
11 a greater extent than -- and I haven't looked at
12 the other studies across the nation to that level
13 of detail.

14 MR. COWART: Okay. I wanted to
15 understand the point because it would be logical
16 that opt-in customers would be the people that
17 wanted to do something.

18 MR. PALADINO: Right.

19 MR. COWART: But the relevant point
20 would be to compare consumption across the average
21 consumer in the jurisdiction or in the service
22 territory in order to see whether an opt-in regime

1 is more conserving than an opt-out regime.

2 MR. PALADINO: Right. And I think that
3 data exists but I don't have it here.

4 MR. COWART: Okay.

5 MR. PALADINO: But we will look -- we'll
6 take that --

7 MR. COWART: That's one of the things
8 that's going to get evaluated.

9 MR. PALADINO: -- recommendation and we
10 will look at it. Okay.

11 MR. COWART: That's a question we get
12 asked everywhere --

13 MR. PALADINO: Okay, that's a really
14 helpful.

15 MR. COWART: -- including all the
16 European countries that Eric was just alluding to.

17 MR. PALADINO: Okay. Then thank you for
18 that. Appreciate it.

19 MR. SLOAN: Any -- oh, Mike?

20 MR. WEEDALL: So I would just follow-on
21 to your point, Rich. I think you need to look
22 completely at that picture because I'm going to go

1 back to my days at SMUD where we had 35 percent of
2 people on direct load control. If we had been
3 able to put everybody on that, we could have hit
4 them so lightly, you know, and so, it's just a
5 matter of what you're getting from one individual
6 customer. It's the bigger the base that you have
7 to spread, you know -- and I'll use the word
8 "pain" in that case -- but, you know, to be able
9 to pull that resource. So, you know --

10 MR. GELLINGS: Well, you make a good
11 point that you have this goldmine of data sources
12 and a huge number when you think about the number
13 of meters out there, the number of customers who
14 could be assessed, or, you know, who's data can be
15 mined for some analytic purposes, you've really
16 got a lot to work with.

17 MR. COWART: That's right. Sue?

18 MS. KELLY: I'm sorry. I'll make this
19 quick, but I was intrigued by what you said about
20 -- was it Sioux Valley?

21 MR. PALADINO: Yes.

22 MS. KELLY: That 20 percent of the

1 savings came from direct load control --

2 MR. PALADINO: Yes.

3 MS. KELLY: -- and you were "trying to
4 squeeze another five from rates." Could you
5 elaborate on that point just a little bit?

6 MR. PALADINO: Yeah, I don't have
7 detailed information on this. But in a site visit
8 that we had with them recently, they mentioned
9 that they got most of their peak load reduction
10 from their direct load control program. They've
11 got a water heater and air-conditioning program
12 and they're seeing significant peak load
13 reductions from that. And the pricing program,
14 they're not expecting to get as much peak demand
15 reduction overall. The true impact is from the
16 direct load control program.

17 MR. COWART: Makes sense. Okay.
18 Anything further? Wanda, want to take us to the
19 next step?

20 MS. REDER: Yeah, I'll I guess present
21 the whitepaper at this point.

22 MR. COWART: Yes. Wanda, is there a

1 reason to keep our visiting experts for this
2 discussion?

3 MS. REDER: They can be wherever they
4 want to be.

5 MR. COWART: All right, but before we
6 turn to you, basically let's pause for a second --

7 MS. REDER: All right.

8 MR. COWART: -- and thank the panel for
9 coming and presenting. We appreciate it.
10 (Applause) We look forward to repeated visits
11 with results from the gold mine.

12 MS. REDER: Yeah, appreciate it. Thanks
13 a lot. Chris, Eric, yep. Joe, you're staying
14 here for support, right?

15 MR. PALADINO: I'm right here right next
16 to you.

17 MS. REDER: Okay, great. All right,
18 let's see here. So, Smart Grid Subcommittee is
19 one of the EAC subcommittees and we have been
20 working on a whitepaper. We ended up having a
21 fair amount of discussion on what the focus should
22 be for this year. And there's a lot of different

1 directions you can go, but obviously with the
2 volume of activity of here and the lessons that
3 are coming out of this effort, we thought the most
4 immediate thing was to focus on the outreach and
5 communication of the gold mine. So the bulk of
6 the short-term discussion and what's in this
7 whitepaper focuses on that, but it's not to say
8 that's an end-all. That is just meant to be
9 time's of the essence. We're 3 years into a
10 5-year span of \$8 billion and, you know, that was
11 covered quite nicely earlier.

12 So how can we extract the findings along
13 the way and communicate to the constituencies,
14 stakeholders and the like what's going, spread
15 best practices, lessons learned, and the like? So
16 that is fundamentally what we decided to do. The
17 objective was to take on the lessons and early
18 findings. A couple of key points that's talked
19 about in the paper is the necessity to be accurate
20 and portray the information as it's gathered. And
21 there was a fair amount of discussion to not
22 overly cheerlead and it's very important to

1 maintain that trusted voice that I think popped
2 out so nicely in that survey that was done for the
3 storage work coming back from NARUC. We really
4 want to make sure that the accuracy piece is
5 there. And of course this is ultimately to
6 advance this technology and kind of scale the
7 investment so that as we go into grid
8 modernization, we're adopting it appropriately.

9 So the paper is organized around kind of
10 background and the strategic purpose of DOE in the
11 smart grid involvement and why this outreach piece
12 is so critical right now. We talk a fair amount
13 on trying to look at a way to organize the
14 benefits in a way that can be extrapolated and
15 rolled up. A lot of times it seems that the
16 conversation is around technology and it takes a
17 while to make the flying leap to the benefit piece
18 and we think that's kind of the connection that is
19 needed in order to effectively get to this
20 outreach aspect and really connect with those that
21 are interested.

22 We also came up with an idea on how to

1 matrix the information so that you could sort the
2 data and ultimately get to a particular case study
3 that has the benefits or protect perhaps the
4 geographical area or utility type that would match
5 your own needs recognizing that everybody is
6 coming at it from their own perspective and it's a
7 mirage of information. So how do you hone in and
8 actually matrix this so that you can get out the
9 right thing that can actually help you get from
10 here to there?

11 So those are kind of the things behind
12 the scenes. The first recommendation focuses on
13 really developing a systematic process that moves
14 from a one-way outreach and communication
15 methodology to one that's two-way and dynamic in
16 nature. And there's several parts to this process
17 flow of which is defined in the paper. Part of
18 this recognizes that it's a lot more effective to
19 work through partners and other organizations that
20 have communication channels established. So, to
21 the extent that you can get the messages
22 articulated and packaged and worked through other

1 organizations that are dealing with their
2 membership base, that is much more effective and
3 an economical way to spread the message fast and
4 efficiently and also collect information back.

5 So that's really the concept that's used
6 by the term partners. It's leveraging a lot of
7 other organizations of which some are referenced
8 and they are certainly not all. But it's also
9 recognized there's limited resources and bandwidth
10 within DOE and they can probably get further
11 faster by collaborating with others.

12 The bottom piece there and in the left
13 part that's tied to projects as focus groups, in
14 the initial design, I understand there was five
15 focus groups that were intended. Each focus group
16 was designed around kind of talking about like
17 projects. And I know the consumer behavior one
18 has been quite active. The others maybe not as
19 much, so -- but the idea would be to more
20 formalize those focus groups and actually not only
21 use them to talk about their projects, but to help
22 them have us craft the messages going forward and

1 bounce things off of so they end up becoming much
2 more active in kind of the outreach and
3 communication methodology and the messaging going
4 to the marketplace for that project type.

5 Then the communication and outreach
6 strategy brings these pieces in together and its
7 much broader of course than kind of just putting
8 stuff on smartgrid.gov. There's a recognition
9 that there's a lot of places to be and a lot of
10 messages to get out. So packaging that in a way
11 that is cohesive and there's a plan behind it is
12 really that middle box. And then, of course, the
13 methodology to drive the message into the
14 marketplace, i.e., social media, trade articles,
15 conferences, and of course, expanding upon
16 smartgrid.gov are certainly examples. And the
17 idea is that there's much more of a two-way nature
18 in this. It's dynamic. There's going to be
19 lessons learned along the way.

20 So that was the first one. The second
21 recommendation is this concept of creating a
22 matrix of information on smartgrid.gov and that

1 gets back to the idea that if you could categorize
2 the benefits, the, you know, locations, the types
3 of projects so that people can quickly get to the
4 particular technologies or the types of benefits
5 and the case studies that are applicable to them,
6 the information would be much more useful.
7 There's actually an example in the report that
8 begins to lay a framework of how that might be
9 done.

10 The third is identifying partners that
11 can help get that outreach infrastructure and
12 collaboration mechanism established to disseminate
13 quickly and consistently throughout the industry
14 with established communication channels.

15 The fourth is a recognition that there
16 are several large broad policy types of topics
17 that need to be explored. And this is a little
18 more of a flying leap into the future knowing what
19 we know right now. And it's recommended that DOE
20 take these particular topics on. Obviously the
21 EAC subcommittee is here as a sounding board, but
22 our recommendation is that these five areas are

1 pursued to begin to establish more of a vision
2 around where we're going in terms of how this maps
3 into aging infrastructure, cyber, grid
4 reliability, resiliency, et cetera.

5 The fifth one is, you know, getting this
6 comprehensive outreach strategy developed that
7 covers the cost benefits and risks expanding
8 beyond what's there. Obviously smartgrid.gov is a
9 great platform and it can be further leveraged,
10 but then there's other components as well that can
11 be utilized.

12 And last but certainly not least is a
13 recognition that the folks that are engaged in
14 this are up to here and that the recommendations
15 in here are probably above and beyond the existing
16 bandwidth and staffing is definitely an issue that
17 should be considered.

18 So, in a nutshell, that's what's in the
19 whitepaper and I definitely look forward to the
20 discussion.

21 I guess a wrap-up on next steps is we
22 owe Eric some feedback on that one report and then

1 I just want to make sure that the technology and
2 what we end up talking about in consumer
3 acceptance and other products are glued together.
4 So those are pieces that, you know, are in flight
5 as we speak. Comments, suggestions?

6 MR. COWART: I have a couple of comments
7 but I'll defer to others on the committee. Tom,
8 why don't you go first?

9 MR. SLOAN: Tom Sloan. As Wanda
10 mentioned, there's a recommendation in there that
11 matrices be developed to make it easier for
12 interested parties to identify what's relevant to
13 their needs. And I simply want to say that we
14 spent a lot of time talking about how best to
15 organize information because as you said, you've
16 got a plethora of it. And, you know, the
17 consensus was a matrix that allows folks then to
18 link into the database would probably be the most
19 user-friendly, for what it's worth.

20 MS. REDER: Pat?

21 MR. COWART: Pat.

22 MS. HOFFMAN: I guess one thought that I

1 would have is who is the audience for a lot of
2 this outreach information. And at the end of the
3 day who really needs to understand how we're
4 driving the benefits or the potential benefits and
5 the information around that really goes back to
6 whether it's the utility commissions, the
7 management boards, the investors. And so we might
8 want to think about -- besides the consumers, I
9 think there's two prongs to that. I think there
10 is a consumer outreach that's necessary, but other
11 side of it is really the state regulators and
12 NARUCs of the world. And so I would ask you to
13 consider that as part of your thought process.

14 The other thing is we did create and
15 identify and streamline some work within the
16 organization in creating a smart grid investment
17 program and it seems like a very good opportunity
18 to hit that recommendation that was already in
19 there.

20 MS. REDER: Good. Yeah, on the
21 stakeholders, there is a list and we recognized in
22 the paper that working with the states and NARUC

1 bobbles up at the top without a doubt. When I
2 commented yesterday that the survey work that's
3 actually embedded in that storage report really
4 gives some good insights to how to communicate
5 with that audience. I think it's directly
6 applicable here.

7 Wow, that's it?

8 MR. COWART: I'll toss out a couple of
9 observations. One of the things that's missing
10 from this report -- and I don't know, I assume it
11 wasn't really intentional -- is the environmental
12 connection. You know, a lot of the debates around
13 smart grids in the states and in the service
14 territories, you know, involve consumers who are
15 either worried about the very local environmental
16 effects of the meters themselves or who don't
17 understand the environmental improvements that can
18 be facilitated by having a smarter grid. And
19 getting the environmental groups as allies to
20 understand why the smart grids can be part of
21 their agenda is actually an important step in
22 getting consumer acceptance of what they perceive

1 as a potential downside.

2 And so where we use the phrase
3 "renewables integration," and there's a variety of
4 ways of viewing that, but you could view it from
5 the point of view of a renewables generator,
6 namely, you know, I have a commercial interest in
7 getting integrated. But from, you know, the point
8 of view of the public, the purpose for getting
9 renewables integrated is to reduce the
10 environmental impacts of the power system.

11 And then related to the point I made a
12 little while ago about demand reduction, total
13 improvements and efficiency from the point of view
14 of customers, again, you could view smart meters,
15 and a lot of people view smart meters as an
16 opportunity for the power company to punish me for
17 -- put me on mandatory time and use rates as
18 opposed to an opportunity for me to reduce my bill
19 because I'm going to be a smarter consumer and I
20 have some options.

21 So I guess I would just, you know, look
22 at the communication strategy from the point of

1 view of at least making sure that the potential
2 environmental improvements associated with smart
3 grids are a part of the message. And it might
4 help in terms of outreach to explicitly recognize
5 not just, for example, AARP as a consumer group,
6 but also NRDC and the Sierra Club or whoever. But
7 the point is that they're going to have loud
8 voices in terms of what consumers will actually do
9 with smart grids.

10 And, like I said, I assume this was not
11 really intentional because I assumed that you all
12 are quite conscious of the efficiency and
13 environmental benefits of smart grids. But if you
14 have that in mind, I just found three places where
15 you could tweak this text and it would be
16 potentially improved.

17 On page 4, where you have the bullets,
18 DOE should develop a series of policy papers, that
19 you talk about the -- basically, you're bulleting
20 the various benefits, but it could say instead of
21 just renewables integration, it could say
22 renewables integration, demand reduction, and

1 environmental improvement, or something to that
2 effect.

3 That's page 4. On page 11, just where
4 you say consumer groups, I think the text could
5 say consumer and environmental groups.

6 And I don't know the page number, but
7 there's the matrix later in the paper that
8 actually does include asset utilization and
9 efficiency including end-use energy efficiency as
10 a --

11 MS. REDER: Right.

12 MR. COWART: -- as a benefit. But if
13 you think about it, that's missing from your list
14 of bullets on page 4. They don't correlate. So
15 probably you want to make those two lists
16 correlate and I would even, as I said a minute
17 ago, either expand the renewables integration
18 bullet or add a bullet for energy efficiency and
19 environmental improvement. And that's all.

20 MS. REDER: Okay.

21 MR. COWART: Sue?

22 MS. KELLY: I just wanted to comment and

1 I think maybe Sonny may want to as well. I don't
2 have any problem with any of those changes that
3 you're proposing and I get all of that. One thing
4 that some of my members have found in implementing
5 this on the ground is that the very -- how do I
6 put this -- attributes that make this very
7 attractive to some groups make it unattractive to
8 others. And if you too explicitly put in the
9 environmental issues, at least in certain regions
10 of the country, you can develop a backlash by
11 people who feel that, you know, there's a liberal
12 agenda and, you know, I mean, I have the
13 distinction of having the only member that had to
14 turn back ARRA money because of local backlash.
15 So I know whereof I'm speaking here.

16 I would just say that was one of the
17 reasons that in crafting both this paper and the
18 one we're now working on on consumer acceptance,
19 we were trying to find the sweet spot in benefits
20 that you could like no matter who you are. And
21 that's why the Chattanooga case study at the end
22 emphasizes so much reducing the time to get the

1 system back up after blackouts and benefits like
2 that that really have no, for lack of a better
3 word, ideological cast to them.

4 So, while I agree that those benefits
5 are there and are certainly worthy of inclusion
6 and mention, you know, I have to say that you
7 really have to balance that carefully because you
8 can find that, you know, you may create as many
9 problems as you try to solve. So I just want that
10 point out there.

11 MR. COWART: I get that. I guess my
12 sweet spot would be a little more -- I would
13 emphasize efficiency. I have no hesitation
14 selling efficiency anywhere.

15 MS. REDER: And there's a penumbra of
16 the sweet spots --

17 MR. COWART: Right, right.

18 MS. REDER: -- for all those people in
19 the room, I'm sure, but I just want to note that
20 point.

21 MR. COWART: No, I get you. You know,
22 outage restoration you can sell anywhere. Energy

1 efficiency and consumers saving money is pretty
2 easy to sell anywhere and if we want to be
3 renewables integration, I don't -- you know, maybe
4 you're already across the line just even
5 mentioning that. But I think we could probably
6 come up with the right language and the right
7 outreach pretty easily.

8 MS. REDER: And I just -- no, I don't
9 have any qualms with any of the stuff you're
10 adding. But I just want to explain, you know, why
11 we might -- for example, in the case study, have
12 emphasized the benefits that we did.

13 MR. CURRY: Sue will send you by e-mail
14 a YouTube rant that will illuminate, at least it
15 did for me, your views of where reasonableness
16 line is drawn.

17 MR. COWART: I guess, right, let's just
18 keep going. We understand that some of these are
19 ongoing discussions with members of the public
20 that will take years to resolve. Paul?

21 MR. HUDSON: I've got a number of former
22 regulators and current regulators in the room so

1 they can comment on this as well. But there's
2 something to be said for providing information
3 when a decision is ripe. And absent that sort of
4 organizational standard, it seems like a lot of
5 the data dump becomes noise.

6 MS. REDER: Uh-huh.

7 MR. HUDSON: And so I guess I'm
8 wondering if there's a way to account for kind of
9 the temporal element. So, for example,
10 Massachusetts just opened up a big proceeding and
11 I think with the regulatory community as a whole,
12 if the information isn't kind of provided when
13 there's some decision- making ripe, it just gets
14 cast aside and gets put to the background.

15 MS. REDER: Good point. You know, I
16 think that we're going to have to figure out a way
17 to have a closer relationship to understand what
18 states have what issues coming up at what time and
19 try and make sure that information is available in
20 the right format at the right time. So all of
21 that is definitely a challenge.

22 MR. BROWN: Merwin Brown. I've been

1 holding off making this comment, but I'm going to
2 go ahead and make it anyway. But it's more of a
3 personal observation. I've asked myself the
4 question some time ago why the smart grid -- why
5 are we doing it and what should we be telling
6 others about why we need a smart grid causing me
7 to do kind of a little study on the thing. And it
8 resulted in a paper that goes -- I traced the
9 reasons for the smart grid starting back in the
10 1960s. Due to events and trends, it started to
11 happen to this industry and then followed it
12 through. And I came up with probably -- I haven't
13 counted them, but it's around a dozen reasons of
14 why we have to have a smart grid. And that's sort
15 of my main conclusion is, that this isn't just a
16 nice thing or even a better thing. It's a
17 necessary thing if we're going to keep the lights
18 on at a reasonable cost.

19 And so my real message here is there is
20 -- and this goes to Pat's question or comment
21 about who's the audience -- there's probably two
22 fundamental different audiences here. And so as

1 someone shapes the messages of what we've learned
2 here and what are the main points that should be
3 gotten across, I think fall in these two
4 categories. One of them is, of course, the
5 deployment one as those people who are going to
6 use the technology, they need to learn what DOE's
7 learned and others have learned about deploying
8 the technologies particularly in this system's
9 configuration. And so that would be one theme.

10 The other theme is more directed toward
11 the consumers and perhaps the regulators, although
12 they kind of fall in between both of those
13 categories. They're stuck in the middle in other
14 words. And that is, I think, probably the more
15 subtle and a more tactful way than I've put it is.
16 But they need to realize this is not a sort of a
17 something that we can just turn away from. I
18 think it's necessary. And I think that message is
19 not really getting out to the general public or to
20 the consumers maybe because I'm wrong. But I
21 don't think so.

22 I just think if there is some backlash

1 and if that backlash were to be able to gain some
2 foothold and start having a really negative impact
3 and setting back the smart grid deployment like
4 happened with deregulation in a state I won't
5 mention, you know, I think that could be a very
6 serious problem for us. So, for what it's worth,
7 those are my comments and suggestion of some
8 fundamental themes on this subject.

9 MS. REDER: In the paper there's
10 certainly recognition that, you know, the smart
11 grid findings that we're running into today,
12 making the connection, the grid modernization and
13 economic viability, that message needs to get out
14 loud and clear and we have the opportunity to help
15 bridge that message. So it's really important to
16 do so. And that is really kind of the
17 frontrunner, that sets the context of the
18 whitepaper. Good point.

19 MR. SLOAN: Yeah, our Smart Grid
20 Committee had extensive discussions as you expect
21 on who the target audiences were. And sort of the
22 follow-up on Merwin, you know, the customer who is

1 unhappy with a utility calls Rebecca or me. And
2 so educating us to the realities becomes very
3 important. I mean, Sonny is also included in
4 that. And we were also very careful to recognize
5 that smart grid, smart meters probably will reduce
6 energy consumption, not necessarily utility bills.
7 And so, I mean, particularly when we're talking
8 about the need for infrastructure replacement and
9 build-out and, you know, all the technology costs
10 more than the stuff we had before. So we were
11 very careful not to say in the advocacy part,
12 people, you will have lower bills. You'll have
13 lower consumption.

14 Then I moderated a panel on the opt-out
15 contingent of people who have smart meters for the
16 UTC, Mike Oldak, and had representatives from five
17 commissions or utilities from Maine to Southern
18 California. And we found that about 1-1/2 percent
19 of the people were opting-out of having the meter.
20 So it's a relatively small though inconvenient
21 number. And we particularly spent time talking
22 about a Michigan Commission staff report that had

1 gone through all the scientific data about radio
2 waves and the impact it has on public health.
3 And, you know, having the meter on the outside of
4 the house or apartment building, you know, is a
5 lot less of a threat than holding that cell phone
6 to your ear for hours every day. And so I believe
7 that UTC has put a lot of that stuff, particularly
8 the slides and such, on their website and it might
9 be worth looking at.

10 But again my two primary points, we
11 carefully did not talk about reducing energy
12 bills. It was energy use. And, two, the
13 education of the policymakers and regulatory
14 community is probably the most important aspect
15 for DOE to look at because utilities are going to
16 have more information. I want to be sitting there
17 fat, dumb and happy and old when somebody, you
18 know, screams at me over the phone that Westar
19 Energy is trying to kill them.

20 MS. WAGNER: Just a follow-on with what
21 Tom said, we have an opt-out provision proceeding
22 before us, so I can't comment on anything and I

1 apologize for that because I have a lot to say. I
2 was thinking perhaps a support group for
3 commissioners. I've never been through anything
4 so contentious and I've raised rates a lot in Las
5 Vegas. But the one thing I'll -- an observation I
6 did make is that it was refreshing to be reminded
7 of what the original intent was and Merwin, your
8 background just now was kind of a helpful reminder
9 because all I hear about is how I'm trying to kill
10 people.

11 So, thinking back to grid modernization,
12 I think is a theme that regulators need to get but
13 sometimes the utility -- our utility is just
14 saying, hey, this is a great cost- savings
15 mechanism for us. And for them, because they're
16 in between rate case cycles, they're going to make
17 money on it. So that's not perceived well and you
18 have the contradiction between saying, you know,
19 work force deployment, new types of work forces,
20 yet we just laid off a tremendous amount of meter
21 readers. So those things are hard to explain.
22 And then when I get through with this proceeding,

1 I'll have a lot more to say about it.

2 MS. REDER: All right. We'll count on
3 that.

4 MR. COWART: Further comments or
5 discussion? Paul, your point -- I squelched your
6 point?

7 MR. CENTOLELLA: It's fine. I was going
8 to respond to Paul that I -- I mean, one of the
9 discussions in the committee was not just that
10 information has to be timely, but it also has to
11 get into proceedings. And so, you know, there was
12 a lot of discussion about how can we relate to
13 commission staffs who are oftentimes going to be
14 the vehicle rather than DOE itself for getting
15 material into proceedings and that's an important
16 connection to make. Not always an easy connection
17 to make so we talked a lot about how one might do
18 that.

19 MR. CURRY: Just a quick comment. The
20 sub- subcommittee dealing with consumer acceptance
21 has addressed a number of the issues that we're
22 now kicking around and got into it enough to watch

1 the rant and to see some of the other things that
2 are going that may be unhappily reminiscent of
3 what you're going through in Nevada. But we have
4 given it some considerable thought as to what the
5 best sells are, what are the obstacles and wisely
6 that was not part of today's buffet because we've
7 already overeaten. But that's coming your way in
8 the next round in March.

9 MS. REDER: Rich, you referenced a table
10 on page 15 and one of things that we thought would
11 be helpful to make the connection to the grander
12 objectives of this is to organize material by
13 benefit. And not only does it help with the
14 messaging, but we believe that by organizing
15 material this way, it also will help us figure out
16 what the portfolio is doing in terms of achieving
17 overall objectives. And I think that right now if
18 we look at it -- we had a fair amount of
19 discussion and it seemed like often we take down
20 this technology path and then it translates into
21 benefits. But oftentimes the ones that we're
22 trying to make a connection with think in terms of

1 benefits first.

2 So we were trying to suggest that if
3 there's a way to organize the material, that might
4 be a mechanism to make the better connection in
5 the outreach part.

6 MR. COWART: That also helps to rebut
7 the argument sometimes heard that smart grid is
8 just a bunch of vendors trying to sell
9 technologies. And so it's all about technologies
10 instead of all about why are we doing this. So I
11 absolutely agree with the subcommittee's approach
12 to organize it around benefits.

13 MS. REDER: Okay.

14 MR. NEVIUS: Just one more. I think the
15 paper could be improved by adding another example
16 of benefits. The one that's in here is basically
17 a distribution automation example using advanced
18 metering and so on. But there are other
19 categories of improvement, including, you know,
20 improvements to customer use of electricity. That
21 could be cited. And I know there's a website
22 where a number of examples are listed. And maybe

1 a second type of example would be helpful here to
2 show this is one that's not a customer opt-in or
3 opt-out. If you automate your distribution system
4 using an automated loop scheme or whatever way you
5 do it, the customers in that distribution network
6 are all in. But there are other programs where
7 they could opt-in or opt-out of specific programs.
8 But an example of one of the other types would be
9 helpful.

10 MS. REDER: Okay. Any other discussion?
11 Oh, here's Phyllis'.

12 MS. REHA: Thanks. I just wanted to say
13 that, you know, besides pointing out the benefits,
14 it's going to be really important to quantify
15 those benefits. And I think if your audience is
16 the regulator, that's what the regulator is
17 looking for, a quantification of whatever benefits
18 have been shown in demonstration projects. And I
19 know that Bob and I are working the customer
20 acceptance piece, the regulatory piece, and having
21 some kind of EM&V, some kind of measurement
22 program to quantify the benefits that have been

1 shown by the pilot projects or other information
2 that we have on the technology I think would go a
3 long way of convincing regulators that this is
4 worth focusing on and adopting policies to push
5 that forward.

6 MS. REDER: Good point. In the interest
7 of approval for the day, I wonder if we can
8 reference the case studies that are already on
9 smartgrid.gov? Otherwise, timing-wise, I'm not
10 sure what that does to us.

11 MR. COWART: I'm just trying to process
12 your recommendation and your response. Because
13 this paper isn't really intended itself to be a
14 public document, I mean to influence the public,
15 this is a recommendation to DOE. So this is
16 really an internal kind of paper. And so if
17 that's the case, just referring the case studies
18 that are already up and available would be
19 adequate and so that's where I'm pausing. And,
20 therefore, we wouldn't need to sort of rewrite the
21 paper and go back -- or come back in March.

22 MS. REDER: Right. But part of the

1 challenge is there's so much in motion right now
2 that we think taking action on some of this sooner
3 rather than later is really important. We did
4 cite that one case study because we thought it was
5 the cream of the crop in terms of articulating
6 benefits. And there's others out there but
7 probably not as well done. So, we were trying to
8 set that as the bar for what could be. Anyway,
9 that's why there's one. We did look for others
10 but there wasn't others that really came up to
11 that caliber.

12 MR. NEVIUS: As I said, it's basically a
13 distribution automation example. My former
14 utility embarked on this at the urging of the
15 state utility commission some years ago where they
16 automated their distribution system so they could
17 isolate faulty segments and get the rest of the
18 segments back online quicker. That's what this
19 does. It does it with some new equipment but
20 PSEG, which is the utility I'm talking about,
21 partnered with Schweitzer Engineering to do this
22 in 2010. And they automated their system. So

1 there are a lot of examples of this. And maybe
2 what Rich is saying is just the reference to the
3 DOE website is enough without a specific example.
4 But it's up to you. I mean if you leave it in,
5 it's not a problem, but there are a lot of other
6 types of examples of other savings or other
7 improvements that are in that database or on that
8 DOE link. Maybe just leave it at that.

9 MR. COWART: You can make your point.

10 MR. POPOWSKY: Well, you know, I just
11 remember one at the end. We did add a sentence on
12 page 18 after we discussed the Chattanooga
13 appendix. We said additional case studies for
14 nearly 20 ARRA-funded projects can be found on the
15 DOE smartgrid.gov website. And then we give the
16 site. So I think we did try to do that.

17 MS. REDER: Yeah, good point.

18 MR. COWART: So, Wanda, I take it that
19 you're prepared to advance this paper for final
20 approval.

21 MS. REDER: I am prepared to do that,
22 yes.

1 MR. COWART: And do your colleagues have
2 a motion to -- that we do that? Tom?

3 MR. SLOAN: One thing to take into
4 account, what Phyllis was saying, recognizing a
5 lot of that's going to show up in the next
6 iteration, where we're talking about the matrix, I
7 think we could put in a statement in a box that
8 says, you know, quantification of the value, if
9 you will --

10 MS. REDER: Okay.

11 MR. SLOAN: -- or estimation. I mean,
12 that would at least be a placeholder for that
13 second paper that's coming down the line. And
14 with that, Mr. Chairman, I would move that we
15 adopt and recommend this to move forward.

16 MR. COWART: Right.

17 MS. REHA: Second.

18 MR. COWART: Second. And is there any
19 further discussion? I believe it's understood
20 that the suggested amendments -- I think there are
21 four of them that I've kept track of that we've
22 discussed here today will be included in the final

1 document. Right.

2 MS. REDER: Yes.

3 MR. COWART: Any further discussion?

4 All in favor?

5 GROUP: Aye.

6 MR. COWART: And are there any opposed?

7 All right. It's adopted as amended. And I should
8 say with respect to this document as well as the
9 others we've done this with today, the final,
10 final document will be circulated to everybody on
11 the full committee so that there's no question as
12 to exactly what document we've adopted today. And
13 they'll also be posted.

14 You have one more topic, right?

15 MS. REDER: Yeah, Mike's going to talk
16 about the consumer acceptance piece. Just to
17 refresh, as we got into this, there were the
18 technology and the consumer acceptance themes that
19 bubbled up, so there's been an outline that's been
20 prepared with the intent that it'll be a 2013
21 deliverable.

22 MR. COWART: Mike?

1 MR. WEEDALL: So, first of all, I just
2 want to thank the other folks, some of them who
3 I've already pointed out that they got drafted
4 into this process, but, you know, Susan has been
5 helping us, Mr. Curry, who just left, Phyllis,
6 and, you know, certainly Wanda. So it's been
7 interesting.

8 And just to elaborate, as Wanda was just
9 pointing out, we decided to do this fairly late in
10 the process so we just didn't have the time to
11 push the paper along as we would have liked to.
12 So today instead we bring you this detailed
13 outline which is actually pretty detailed. And
14 we're just again looking for input over the next
15 few weeks from folks as far as what did we miss,
16 do we have the right tone, you know, the draft
17 recommendations, the right ones that we should be
18 moving forward.

19 So the outline again was cited -- oh,
20 okay, great. Yeah. Thank you, Paula. You're
21 trying, you're trying. As was mentioned before,
22 some of the topics that were brought up on the

1 health, the regulatory issues, privacy, cyber, you
2 know, investments, you know, that utilities are
3 going to have to make and impacts on rate design
4 that will be covered in the paper. So we think --
5 you know, again, per Sue's good guidance to us,
6 find that right tone that we can bring forward.

7 Just one thing I just want to offer
8 before I just cite to what the draft
9 recommendations are going to be, and this is just
10 a standard rant that I have been going through for
11 quite a while now. You know, the electric utility
12 industry, and I was certainly a major, you know,
13 part of this, we are just terrible at knowing and
14 talking to customers. I mean, it is just amazing
15 to me, you know, that the industry can be as
16 successful as it is in spite of itself. And I
17 think that one of the things I feel most strongly
18 about in this paper is that there is a great need
19 for the utilities to start to figure out how to
20 talk to end-users in ways that they understand
21 and, you know, they're going to value. And I know
22 we talk amongst ourselves and, you know, we're

1 just great that way because we understand all the
2 economic arguments, et cetera. Then when we go
3 out and we just wonder why it doesn't resonate
4 with end-users, you know, duh. And so I will stop
5 there, at least on that point.

6 The draft recommendations, you know,
7 one, Pat, you know, does recognize who the
8 audience is for this, that, you know, it isn't DOE
9 itself, but do we think DOE's got a key role at
10 getting the information to, you know, whether it's
11 legislators, regulators, helping, you know, to
12 take these -- find those utilities that are being
13 successful at communicating with their customers
14 and sharing those lessons, particularly ones, you
15 know, that go across from region to region? It
16 also, you know, concluded that one approach to
17 this isn't going to fit the whole country. You
18 know, when you come up to the Northwest, it's a
19 little different than if you're down in the
20 Southeast. And, you know, those regional
21 differences really need to be recognized and you
22 need to, you know, work as best in each region.

1 There's certainly building those
2 alliances, that networking with the type of
3 organizations that Rich was citing a moment ago.
4 You know, that's a real critical way, you know,
5 that again we need to get better communication and
6 get the results from end-users. And, you know,
7 again, that we recognize that there's a need for
8 the materials for the lessons learned, et cetera,
9 you know, to be recognizing that you have issues
10 today with consumer acceptance of smart grid,
11 there's going to be a different set of issues 5,
12 10 years down the road. And we need to be, you
13 know, keeping that perspective.

14 So, again, I look forward to comments.
15 I see an e-mail that a couple people have already
16 shared some thoughts. The idea would be that we
17 come back in the spring with the revised paper.
18 Questions, comments?

19 MR. COWART: I actually only have one
20 fundamental comment which has probably been made
21 by all of you in one context or another which is
22 it's illustrated by everybody holding up their

1 cell phone or whatever. It's like I like my
2 iPhone not because it's smart. I like it because
3 it has applications that I want to use. And we're
4 trying to sell smart meters to customers without
5 applications that they actually want. So it ought
6 not to be a surprise that that's a hard sell. And
7 I would recommend that when we're thinking about
8 explaining the benefits of smart grids or various
9 smart grid applications to people that some of it
10 is just stuff that they want to know exists if we
11 have better, you know, grid- based technologies
12 that reduce outages and improve efficient
13 operation of the grid. Then they can just accept
14 that I suppose.

15 But for the smart meter in your home,
16 what's the benefit unless there's an application
17 that is demonstrable. So we need to accept that
18 that's the starting point for most -- actually
19 anybody in sales. And, therefore, we need to
20 distill from the DOE enormous database -- the
21 goldmine is figure how to put something on the
22 table that customers actually are interested in.

1 MR. WEEDALL: If I could just elaborate,
2 Rich, you know, Comcast out in Portland is now
3 marketing home energy management service. And
4 when you watch the commercials, there's nothing on
5 there about saving energy. It's all about making
6 sure that the lights are on when your children
7 come home from school. It's making sure that when
8 somebody, you know, comes walking around your
9 house that shouldn't be there, you know, that the
10 lights come on, et cetera. So, you know, I mean,
11 yeah, you could -- I just think the way that
12 they're marketing it just reinforces what you're
13 saying.

14 MR. COWART: Are there other comments
15 (inaudible). Is there an action needed right now?

16 REPORTER: Turn your mic on.

17 MR. COWART: This is information for the
18 committee and an invitation to submit comments.

19 MS. REDER: Correct. Yes.

20 MR. COWART: Okay. And is there any
21 further action for the Smart Grid Subcommittee
22 today?

1 MS. REDER: No, no more action.

2 MR. COWART: This concludes your report?

3 MS. REDER: Yes.

4 MR. COWART: Congratulations.

5 MS. HOFFMAN: I have one request for the
6 subcommittee as they look at this. In as we're
7 doing our benefits analysis and as we're looking
8 at our projects and evaluating the benefits,
9 especially for the recovering commissioners in the
10 group -- is to look at it and say are we missing
11 anything in how we're analyzing this information?
12 Is this repeatable? Is this replicable? Is this,
13 you know, valuable to how the commissioners would
14 look at this data? Is it meaningful, you know,
15 from the different audiences' perspective? If we
16 can take a hard look at some of our analysis of
17 what we're doing, especially on kind of the
18 verification and evaluation part, you know, maybe
19 go through and say is there something that could
20 be standardized out of this, I would appreciate
21 the feedback on. Doesn't necessarily have to be
22 in the report, but just to think about that as you

1 go through.

2 MS. REDER: Okay. We'll definitely be
3 glad to be a sounding board for you. And
4 furthermore, to the extent that there's those of
5 us around the table that are in different
6 potential partner organization, we'd be glad to
7 help facilitate relationships if that would be
8 useful.

9 MR. COWART: All right. Thank you very
10 much --

11 MS. REDER: Thank you.

12 MR. COWART: -- Wanda and Joe. I guess
13 I should note for the record that no member of the
14 public has asked to speak to the committee this
15 afternoon. And, therefore, we can use the time on
16 our agenda otherwise and we may be able to adjourn
17 early. I wanted to make a couple of announcements
18 and I think maybe there may be other closing
19 administrative announcements to make.

20 We asked each of the new members of the
21 committee to indicate which subcommittees or
22 working groups they were prepared to work on. And

1 I just wanted to let everybody know -- not
2 everybody's here, but just to let everybody know
3 how that sugared off, as we say in the Northeast.
4 Chris Shelton will become a member of the Storage
5 Subcommittee; Linda Blair, the Transmission
6 Subcommittee; Chris Peters, Smart Grid
7 Subcommittee and the Workforce Taskforce; Paul
8 Hudson, Smart Grid Subcommittee and the
9 Transmission Subcommittee; and Denny McGinn, both
10 Storage and Transmission.

11 So, subcommittee chairs, just to be
12 aware of that. I think you already are, but I'm
13 just sort of confirming for everybody's benefit
14 the assignments for the new folks.

15 Any closing comments? I think we're
16 prepared to adjourn. Elliot, any announcements
17 you need to make? Everybody knows when and where
18 the next meeting is going to be. We already did
19 that. And I'll just simply pause for -- I'm
20 sorry? Oh, Tom?

21 MR. SLOAN: Yeah, thanks, Rich. And,
22 Elliot and Paul, would you please send out that

1 set of slides again? I'm sure I've got it
2 somewhere, but I've got all those other reports
3 and drafts and stuff like that. And it'd be
4 easier to find it anew than to try and go through
5 my emails so we can comment on it. Thank you.

6 MR. COWART: Right. I will once again
7 thank and congratulate the subcommittees and the
8 working group for terrific work and everybody for
9 putting their pencils to the paper today to get
10 those documents in good shape to be approved by
11 the full committee and to everybody else for
12 terrific conversations and dialogue. I will
13 accept a motion to adjourn.

14 MS. REDER: So moved.

15 SPEAKER: So moved.

16 MR. COWART: Unanimously moved and
17 seconded and approved.

18 SPEAKER: Thank you all.

19 (Applause)

20 (Whereupon, at 3:32 p.m., the
21 PROCEEDINGS were adjourned.)

22 * * * * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

CERTIFICATE OF NOTARY PUBLIC

DISTRICT OF COLUMBIA

I, Irene Gray, notary public in and for the District of Columbia, do hereby certify that the forgoing PROCEEDING was duly recorded and thereafter reduced to print under my direction; that the witnesses were sworn to tell the truth under penalty of perjury; that said transcript is a true record of the testimony given by witnesses; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this proceeding was called; and, furthermore, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, nor financially or otherwise interested in the outcome of this action.

(Signature and Seal on File)

Notary Public in and for the District of Columbia

My Commission Expires: April 30, 2016

